

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW JERSEY BOARD OF PUBLIC UTILITIES

NEW JERSEY ENERGY MASTER PLAN
ALTERNATIVELY FUELED VEHICLES
WORK GROUP

NOVEMBER 1, 2011 1:00 P.M.
RUTGERS ECO CENTER
BORDENTOWN, NEW JERSEY

B E F O R E: PRESIDENT LEE SOLOMON
COMMISSIONER JEANNE FOX
COMMISSIONER JOSEPH FIORDALISO
COMMISSIONER NICHOLAS ASSELTA

J.H. BUEHRER & ASSOCIATES
2295 Big Enough Way
Toms River, New Jersey 08755
732)557-4755

1	SPEAKER	REPRESENTING	PAGE
2	CHARLES FEINBERG	WORK GROUP	4

1novembefr2011.txt

3	NANCY SALMAN	AVALENCE	21
4	RAY KENARD	NORTHEAST TRANSPORTATION	28
5	LAURA DOOLEY	ALLIANCE OF AUTO MFRS.	39
6	RAYMOND ALBRECHT	NATIONAL BIODIESEL	
7		BOARD	44
8	SAL RISALVATO	NJ-C-STORE AUTOMOTIVE	51
9	JEFF TITTEL	NJ SIERRA CLUB	58
10	PAUL KYDD	PARTNERSHIP 1	66
11			
12			
13			
14			
15			
16			
17			
18			
19	.		
20			
21			
22			
23			
24			
25			

□

3

1 PRESIDENT SOLOMON: Good afternoon,
2 everyone. I think everybody is here. We have a
3 number of speakers. We are going to receive a
4 presentation today from the New Jersey Energy Master
5 Plan Alternatively Fueled Vehicles work Group.

6 Let me just reiterate what I said before:
7 we have a number of speakers signed up. If you are
Page 2

8 going to speak, make sure you sign up outside so we
9 know.

10 If you are speaking today make sure you
11 speak clearly, take your time and address your
12 issues raised in the report. We are going to get a
13 synopsis today, and make sure that your questions
14 are directed to the report, the subject of the
15 report today.

16 Now, just for your edification, we have
17 two more hearings left, November 7th at 9:30, the
18 Innovative Technology Group, and November 10th at
19 9:30, the Biomass, I think that's all we have right
20 now, there may be a scheduling conflict.

21 Chuck Feinberg, who is the work Group
22 Chair is going to give the presentation as to the
23 nature of the report. We are specifically looking
24 for any suggestions you might have that might assist
25 us in the implementation or the specific contents of

4

1 the report that you have in front of you that you
2 think may be inaccurate or need further review or
3 alternative considerations.

4 Chuck, without further ado, it is all
5 yours.

6 MR. FEINBERG: President Solomon,
7 Commissioners, thank you, and good afternoon every-
8 one.

9 The Alternatively Fueled Vehicles work
10 Group was appointed by the Board and we were tasked
11 with the following four questions:

12 within the vehicle categories of freight,
13 mass transit and passenger vehicles, what are the
14 most cost effective and environmentally friendly
15 alternatives?

16 what are the opportunities and barriers to
17 developing an infrastructure to support various
18 alternative fuel supplies for vehicles?

19 what should the State fleet be doing with
20 their own fleet?

21 And what other barriers might exist and
22 what recommendations do we have for addressing those
23 barriers?

24 So I am going to introduce the work Group
25 and I am going to give some background about the

5

1 issues and then I am going to talk about some of
2 the recommendations and conclusions that our Group
3 came up with.

4 The work Group members was a good good mix
5 of public and private parties, utilities, private
6 companies, fuel providers, fleet managers.

7 I will ask that any members of the work
8 Group that are here to please raise your hands and
9 say hello.

10 Okay, just to give a little bit more
11 background, my background: I am the Chair of the New
12 Jersey Clean Cities Coalition. The Clean Cities
13 Coalition is a Department of Energy backed program
14 where the US DOE actually provides seed funding
15 for locally based coalitions, and there are about
16 ninety of these coalitions across the country.

17 Right now the New Jersey Clean Cities
18 Coalition is the only one one based in New Jersey.
19 It started out and received formal designation by
20 the US DOE in 1997, and at that time and for
21 several years after it was actually managed by the
22 Board of Public Utilities.

23 We incorporated it as a non-profit in
24 2009, and just this past year we were re-designated
25 for another three years through a formal process of

6

1 the DOE..

2 Our whole mission is the displacement of
3 petroleum in the transportation sector, so for
4 environmental security, energy security, job
5 creation, all of the above, and whatever we can do
6 to accomplish any of those three tenets is what we
7 do.

8 Our primary activities right now involve a
9 DOE stimulus plan that we have been managing for the
10 past two and-a-half years, and I will talk more
11 about that in a little bit.

12 We have a Clean Cities Support Program
13 contract with the DOE with various caps which I will
14 also mention more of, and we are participants along
15 with the New Jersey DEP and the Regional
16 Transportation and Climate Initiative on a regional
17 electric vehicle planning grant which was recently
18 awarded.

19 We recently just received a grant from
20 the EPA Region 2 to replace some of the dirtiest

21 diesel engines that operate in some of the marine
22 vessels in New York Harbor.

23 We also participate in a number of work
24 groups, State-wide and regional, including the
25 Renewable Natural Gas Work Group, which is a

7

1 separate subcommittee advising the Energy Master
2 Plan. I guess that meeting is the 10th right here.

3 We also work with the folks in sustainable
4 Jersey on their Green Fleet Committee.

5 So the Energy Master Plan, for the first
6 time the State of New Jersey Energy Master Plan
7 actually discusses alternative transportation fuels
8 and the need to address the issues concerned with
9 transportation, and for that I thank and
10 congratulate the Board for including that and for
11 the insight for doing that.

12 But the consensus of our work group is
13 that the discussion of alternative fuels in
14 vehicles needs to be broadened and that concrete
15 steps need to be laid out. Some of this I will speak
16 about today, most of it will need further discussion
17 and planning.

18 But a little background on the issue:
19 Over the long-term the U.S. has seen a widening gap
20 between domestic production and consumption of
21 petroleum. It is important to get all this out.
22 The U.S. consumed about twenty million barrels of
23 petroleum per day in 2010, making us the world's
24 largest consumer of petroleum, and we were third in
25 crude oil production at only about five and-a-half

1 million barrels a day.

2 Even with that, as you can see, the
3 dependence on imported oil has continued to decline
4 and has been trending down; that's probably as a
5 result of the economy more than anything else.

6 You see with liquid fuel--- sorry--with
7 liquid fuels the consumption from the transportation
8 sector is the largest there of consumption.

9 And again, in 2009 U.S. petroleum was
10 about, fifty percent of it was imported, fifty
11 percent of it was domestic.

12 Of the amount that was imported, about
13 half of it came from the western Hemisphere and
14 about eighteen percent of our imports come from
15 Persian Gulf countries, and the two single largest
16 importers into the United States are Canada and
17 Saudi Arabia.

18 Just a little bit more on the background.
19 The U.S., five percent of the world's population,
20 twenty-five percent of the consumption of petroleum.

21 And increasingly we are competing for this
22 resource with countries like China and India. Over
23 the past fifteen years India, for example, has
24 doubled the amount of oil that they import on an
25 annual basis.

1 So recognizing this, the Energy Master
2 Plan discusses the fact that there are many options

3 and recognizes the need and the benefits of moving
4 toward these options and encouraging these options.

5 And this is not good for the environmental
6 issues and economic security, it's about domestic
7 jobs and the Energy Master Plan actually recognizes
8 that.

9 So there are many options. One of the
10 primary tasks of our work Group was to look at those
11 options. While the draft EMP discusses some of
12 these options, our Group's conclusion is that a
13 broader range of options exists and these should all
14 be included in the Energy Master Plan.

15 These options fit about three general
16 categories, those of you who might have been in the
17 environmental industry over the years are probably
18 familiar with the concept here, it's the same thing
19 with energy and the same thing with transportation
20 fuels: replace, reduce and eliminate, real simple,
21 I don't need to read that slide.

22 But you take the beta as to knowledge of
23 energy efficiency and demand-response; same concept,
24 different application.

25 Again, the Energy Master Plan, another

10

1 quote here, Fuel source options will vary by the
2 nature of the transportation type. That's important
3 to realize and it is important to realize that there
4 are many different options, and those options
5 include natural gas and electricity but there is
6 also a broader set of options, and that's what this
7 slide is intended to show.

8 while encouraging the deployment and use
9 of alternative fuels is very important, the
10 wide-spread use of them will take time, so it is
11 also important to keep in mind the ongoing need for
12 programs that support fuel economy, for instance, in
13 idle reduction as well as trip eliminations and
14 lessening the vehicle miles travelled. Those are
15 all part of the picture and they all need to be
16 included in this discussion.

17 So as I mentioned, the Energy Master Plan
18 specifically mentions compressed natural gas,
19 electric vehicles and to a lesser extent biodiesel,
20 but the entire portfolio of what I just presented
21 should be discussed.

22 In reference to the electric vehicle
23 industry, I just want to make the point, I think
24 most of you are probably aware of this, but
25 available now and within the coming years are more

11

1 than thirty different models of electric vehicles,
2 and those are coming in all shapes and sizes, all
3 vehicle classes and for all different types of uses.

4 Here is a sampling of some of the ones
5 that are on the horizon or are actually here now,
6 some of these are actually operating in New Jersey
7 right now, and one of the concepts that we included
8 in our report and in discussions in our work Group
9 was the urban delivery vans and how electrification
10 of those types of uses was something that really
11 needs to be looked at strongly.

12 But we have our work cut out for us.
13 Right now, this is the listing of the current
14 infrastructure for alternative fuels in the State of
15 New Jersey. One of my responsibilities as Clean
16 Cities Coordinator is to track information such as
17 this and report it to the DOE, and they monitor it
18 on their website and make it available, so if
19 anybody is aware of other ones that might not have
20 made it to my list please let me know.

21 Obviously, we have a lot of work to do.
22 Most of the compressed natural gas and propane, for
23 example, are fleet based, they may or may not be
24 open to the public. As you see, of the twenty
25 locations, only three of them are open to the public

12

1 right now, but we are working to change that and
2 expand those options.

3 So that the Energy Master Plan needs
4 somebody to lay out some creative ways on how to
5 help facilitate and accelerate the development of
6 the infrastructure for alternative fuels.

7 Before we get into that, I will just talk
8 about some of the tools that are available right
9 now. The information that was on the previous slide
10 was selected by the Clean Cities Coordinators across
11 the country and maintained by the DOE in the data
12 they have and they have a locator available.

13 So with this tool you can put in your zip
14 code, for example, and get a listing of every
15 alternative fuel station that is within your zip
16 code. You can sort it by fuel type and/or by

17 location, and you can also, in the lower right
18 there, you can plan your route so that you know
19 every station along the way so when you do need fuel
20 you will be able to locate a station, and it has all
21 sorts of information including what credit cards
22 they take, hours of operation, whether it is public
23 or private, that sort of thing.

24 So these tools do exist and they are
25 getting more and more robust as the infrastructure

13

1 develops.

2 A similar concept is the truck-stop
3 electrification locator, so that a trucking fleet
4 can locate every electrified truck-stop along their
5 route and in their territory. These are great
6 tools for folks that do not have centralized fueling
7 at their depot.

8 Okay, so the draft Energy Master Plan
9 recognizes that we need programs going forward to
10 encourage the use of alternative fuels and the
11 associated infrastructure. Right now the draft
12 specifically talks about CNG but, again, my
13 contention is we need to broaden that to other fuels
14 as well because some fuels will work better with
15 different applications and different fleet usage.

16 So some of our first recommendations, one
17 of the big challenges as to the development of in
18 infrastructure for alternative fuels and for fleets
19 to transition to alternative fuels is initial cost.
20 Many of these fuels right now and many more in the

21 future will provide a reasonable payback over the
22 life-cycle of the vehicle, but you still need to
23 come up with that initial cost, and that initial
24 cost has been a hurdle and probably will continue to
25 be a hurdle, so our work Group is suggesting that

14

1 the State look into creating some sort of revolving
2 loan fund that will help fleets, public and private,
3 get over that initial cost and pay back the loan
4 over the savings over the life-cycle of those
5 vehicles. That's one big effort I think, we are not
6 talking about grants right now, this is something
7 that will encourage and make that capital available
8 to the fleets that are interested in doing it.

9 we also need to be more creative in
10 finding ways to leverage private capital to help
11 public/private partnerships; by that I mean there
12 are several major fuel providers out there,
13 infrastructure providers, I should say, that in
14 exchange for a long-term fuel purchase agreement,
15 they will put the infrastructure in at no cost to
16 the fleet owner.

17 To me, this is a great way to get the
18 infrastructure out there, I think something like
19 that would be a great way for an organization such
20 as New Jersey Transit to look at this, just as an
21 example.

22 Then involvement of the utilities.
23 Obviously, the utilities right now are more
24 interested in electric vehicles and natural gas than
25 propane or hydrogen or anything else, but they have

1 a significant role to play in this both from a load
2 response and demand response type situation but also
3 potentially in helping to put in that
4 infrastructure.

5 One of the questions that were asked of
6 the work Group is, what could the State do with its
7 own fleet?

8 So our report states that the State should
9 define specific goals of decreasing emissions of
10 petroleum consumption of the State fleet, we should
11 develop and implement a fleet management and
12 alternative fuels implementation plan, and that plan
13 would look at the specific uses of every vehicle in
14 the fleet and optimize the fleet by reducing them to
15 right sized vehicles, and what I mean by that is
16 often vehicles are replaced with the same type of
17 vehicle because that's how it has always been, but
18 is that type of vehicle, is that class of vehicle
19 really what is necessary to get the job done?

20 We need an objective view of that, and
21 consider the life-cycle cost of those vehicles and
22 the fuels that they use, not just the initial cost

23 Leverage the private sector for the
24 infrastructure, reduce vehicle miles traveled.

25 The measures of accomplishment in meeting

1 these goals could be the number of gallons of
2 gasoline or diesel that were displaced in that year.

3 Emissions, it could be based on emissions
4 reduction and also total fuel and operational
5 costs. There are several states that either by
6 executive order or by legislation have initiated
7 these efforts in of the past year or so.

8 Some of our other recommendations, one of
9 the issues we came across in our work Group is that
10 New Jersey is only one of only two states that does
11 not define biodiesel in accordance with the ASTM
12 standard. what that could do is lead to biodiesel
13 that does not meet that spec but still meets the
14 definition I believe in the New Jersey Tax Code
15 where it is defined. Bad biodiesel or biodiesel not
16 meeting the spec could be dumped in New Jersey, and
17 we need to be very careful about that.

18 And I believe there is a speaker from the
19 National biodiesel Board who could expand on that a
20 little bit later.

21 Another big issue involves something that
22 probably is one of our more precious assets: school
23 busses in New Jersey cannot use compressed natural
24 gas right now even though there is a huge movement
25 across the country and in other states for that to

17

1 happen. Apparently the configuration of the fleets
2 in New Jersey is somewhat unique and a bus meeting
3 the New Jersey spec has not been crash tested using
4 CNG. That is something it seems to me that should
5 be easy to address, but I have been trying for two
6 years and haven't gotten very far and I know other
7 people in this room have been dealing with this

8 issue for a lot longer.

9 This third bullet here is also significant
10 in that the gas quality in much of the PSE&G
11 territory while perfectly good for standard uses of
12 natural gas, it's not sufficient for compressed
13 natural gas. There are a lot of related issues
14 associated with that, but if we are going to move
15 forward with compressed natural gas in the
16 transportation field, PSE&G has a big territory
17 that this issue has to be dealt with.

18 There are also some zoning and permitting
19 issues that need to be smoothed out if possible and
20 addressed, there has been some effort on that on
21 electric vehicle charging stations for residential
22 usage, Ken Frank from the DEP has worked very
23 closely with DPA on zoning and with the
24 construction code people there, but we need to look
25 at how we can facilitate and smooth out that process

18

1 for the other fuels as well.

2 We also need to make it easier on the
3 State procurement contracts for municipalities and
4 other public entities to be able to access
5 alternative fuel vehicles and alternative fuels in
6 a competitive and easier way than currently exists
7 and to get those vehicles on the State contracts
8 faster.

9 Again, look at total cost of ownership
10 rather than low bids.

11 A couple of more. There are a lot of

12 regulatory issues that need to be discussed and
13 addressed regarding electric vehicles and electric
14 vehicle infrastructure and whether or not a reseller
15 of electricity would be considered a utility or
16 whether they are providing a service. That needs to
17 be defined in the State of New Jersey and the
18 regulations are needed to cover items like safety,
19 inter-operability, reliability standards and other
20 issues along those lines.

21 There are some tax issues that need to be
22 discussed and addressed also, whether or not the
23 motor fuel tax or how the motor fuel tax will apply
24 to electric vehicles or to natural gas or propane
25 vehicles needs to be addressed.

19

1 And there is also the sales tax exemption.
2 Right now there is a provision in New Jersey that
3 zero emission vehicles are exempt from sales tax.
4 Our work Group is suggesting that that exemption be
5 expanded to include fossil zero emission vehicles
6 and come up with a mechanism for maybe not zero
7 sales tax but have some sort of sliding scale based
8 on emissions or based on the amount of gasoline that
9 will be used to provide an incentive on that.

10 That's essentially the recommendations of
11 our Group.

12 I just want to talk a little bit about the
13 grant that we are managing, it is a public/private
14 partnership. We are putting in six compressed
15 natural gas fueling stations across the State, close
16 to three hundred vehicles, garbage trucks and

17 shuttle busses, and just this program alone just
18 with the vehicles that are included under this
19 program will displace about two million gallons of
20 petroleum a year.

21 But we have already seen other fleets in
22 the neighborhoods of these states express interest
23 in converting to so it will significantly expand
24 over time.

25 So it is a chicken and egg situation. I

20

1 would say we are putting in a couple of eggs around
2 the State, now it is time for the chickens to come
3 forward and participate.

4 This is a list of the entities that are
5 part of the grant right now and here are some of the
6 vehicles that we are talking about. The two in the
7 middle you have probably seen, the Atlantic City
8 Jitney Association, we have transitioned their
9 entire fleet of one hundred and ninety vehicles to
10 compressed natural gas; this is obviously a real
11 showcase for any visitor to Atlantic City.

12 The one on the left operates out of Newark
13 Airport, this is an entity called The Parking Spot
14 Group, you might have seen some of the construction
15 over there, they are Honor totally redoing all of
16 the off--airport parking and it is now run by a
17 company called The Parking Spot Group, they have
18 several CPN shuttles now and then several of the
19 garbage truck entity.

20 Here are some of the stations, the one in

21 the lower left is waste Management in Camden, which
22 is a public station, but also on the other side of
23 the fence there are eighty-eight time-fill posts
24 there to fill the waste management trucks.

25 You can't really see it in the picture,

21

1 but on the canopy there, the price is one dollar
2 seventy five-nine on a gas gallon equivalent basis
3 so there is some incentive right there.

4 The upper right is at the Atlantic County
5 utilities, the upper left is at the Essex County
6 Resource Recovery facility, we will be breaking
7 ground there within the next couple of weeks.

8 And at the bottom right is the Central
9 Jersey waste, they have a time-fill station in
10 Trenton.

11 That's our presentation.

12 PRESIDENT SOMOMON: Do you want to take
13 the questions?

14 Are there any questions?

15 No questions.

16 Okay, is Nancy Selman here?

17 Nancy, would you like to speak?

18 MS. SELMAN: Thank you, President Solomon
19 and Commissioner, for having me here today.

20 I am Nancy Selman, I am Vice-President of
21 Business Development for a company by the name of
22 Avalence in Connecticut. Avalence is a
23 manufacturer of hydrogen generated by electrolysis
24 and currently we are putting in two hydrogen fueling
25 stations for municipalities, municipal bus fleets

1 in Connecticut. Early next year we will be
2 installing a unit at Pearl Harbor in Hawaii.

3 So my comments are with regard to the
4 hydrogen portion of the subcommittee's
5 recommendations.

6 Avalence respectfully submits the
7 following comments in response to the
8 recommendations of the Alternatively Fueled
9 Vehicles Subcommittee for the New Jersey Energy
10 Master Plan. The comments include a further
11 recommendation for the immediate development of a
12 detailed plan for the build-out of hydrogen fueling
13 station infrastructure in New Jersey in
14 anticipation of the commercial introduction of fuel
15 cell vehicles to the retail market in 2015.

16 The Subcommittee's comments open by
17 stating that, "Hydrogen has the potential to
18 revolutionize transportation." This is absolutely
19 true. Hydrogen fuel cells have two times the energy
20 conversion efficiency of the gasoline internal
21 combustion engine (ICE). They use pure hydrogen as
22 fuel, combining it with the oxygen in air to produce
23 electricity with water as the only byproduct.

24 Hydrogen FCs emit no greenhouse gases.
25 Unlike battery-only electric vehicles (BEVs),

1 hydrogen fuel cell vehicles (FCVs) have similar
2 refueling time and driving range to the gasoline

3 internal combustion engine vehicles we drive today.
4 Unlike gasoline hybrids, which have a traditional
5 mechanical drive train plus an electric motor, FCVs
6 have a single electric drivfe train, providing a
7 clear pathway to vehicle cost reduction and cost
8 competitiveness.

9 Moreover, there are several ways to
10 produce hydrogen fuel. Hyderogen is widely used now
11 in industrial processes in large quantities. The
12 vast majority of that hydrogen is produced from
13 natural gas, which is currently in plentiful supply
14 in the region. Another way to produe hyudrogen fuel
15 is via the process of electrolysis, which uses
16 electricity and water to form pure hydrogen and
17 oxygen as the only byproduct. When solar, wind or
18 other non-fossil power sources are used for
19 electrolysis, a completely sustainable, local
20 renewable and emissions-less hydrogen transportation
21 fuel is produced.

22 The Subcommittee's comments go on to state
23 that, "While there are currently demonstration
24 vehicles available (at high production cost),
25 hydrogen fuel cell vehicles (FCVs) remain a mid to

24

1 long-term alternative due to remaining technical
2 barriers, high costs and fuel cell durability
3 concerns."

4 while the cost of fuel cell demonstration
5 vehicles is high due to limited production and the
6 developmental cost of the fuel cells, Toyota
7 recently placend the cost of its FCV at \$129,000

8 and is targeting a \$50,000 price tag in 2015.
9 Moreover, as stated in a report written by McKinsey
10 for the European Union, "With the demonstration of
11 more than five hundred passenger cars covering
12 fifteen million kilometers and undergoing ninety
13 thousand refuelings, FCVs are now considered to
14 have been comprehensively tested in a customer
15 environment. The result: the focus has now shifted
16 from demonstration to commercial deployment in
17 2015." (Daimler has recently moved this date up to
18 2014 in Germany). The only remaining challenge is to
19 build a hydrogen station infrastructure to meet the
20 2015 date for commercial introduction of hydrogen
21 FCVs.

22 Germany and Japan have committed to
23 building hydrogen stations for commercial launch of
24 FCVs in 2015. Germany plans a nationwide supply of
25 hydrogen to be developed in time for the planned

25

1 roll-out to attract FCVs to the region, and
2 eventually to link its hydrogen highway with planned
3 developments in neighboring Scandinavia. Japan is
4 committed to building its hydrogen infrastructure
5 and a group of oil and gas companies have announced
6 their intention to build one hundred hydrogen
7 refueling stations in Tokyo and three other cities
8 by 2015.

9 In the U.S, Hawaii and Southern
10 California also have plans in place for hydrogen
11 infrastructure. The California Energy Commission

12 (CEC) committed twenty-two million dollars in
13 funding for eleven new stations and station upgrades
14 one year ago, and these stations are beginning to
15 come on-line now. These are in addition to the six
16 hydrogen fueling stations in the Los Angeles area
17 already. The hydrogen communities in New York and
18 Connecticut are each in varying states of drafting
19 infrastructure plans and putting them before their
20 respective Governors.

21 The Subcommittee's comments go on to note,
22 "A recent study concluded that large-scale use of
23 FCVs is unlikely in the short-term, stating it is
24 highly unlikely that hydrogen FCVs will have
25 significant impacts on LDV (light-duty vehicle)

26

1 energy use and CO2 emissions by 2030. However, a
2 number of manufacturers, including Daimler and
3 Honda, are targeting model year 2015 for the
4 introduction of limited numbers of commercially
5 available vehicles."

6 while it is true that FCVs may not have a
7 significant impact on the market in the immediate
8 future, in a Letter of Understanding issued by
9 leading car manufacturers in Europe in September
10 2009, the goal was stated to commercialize FCVs by
11 2015, with hundreds of thousands of vehicles being
12 rolled out world-wide shortly thereafter, assuming
13 sufficient hydrogen refueling infrastructure is in
14 place.

15 The Subcommittee's comments close by
16 saying, "There are several major suppliers and

17 vehicle companies based in New Jersey involved
18 with hydrogen production, distribution and its use
19 as a vehicle fuel. As such, the State has an
20 interest in promoting the further development of
21 hydrogen production pathways that minimize cost,
22 energy use and lifestyle GHG emissions."

23 FCV manufacturers have demonstrated that
24 they are ready, willing and able to produce
25 vehicles for the retail market in less than three

27

1 years time. States who plan hydrogen fueling
2 infrastructure now will enable resident suppliers of
3 vehicles and fueling to have the first mover
4 advantage in this rapidly evolving industry.

5 It is respectfully suggested that in order
6 to be ready for this revolution in mobility, New
7 Jersey create a plan for hydrogen fueling
8 infrastructure development. Such a plan should be
9 made in coordination with an organization such as
10 the New Jersey Clean Energy Coalition, with the
11 input of automotive manufacturers, industrial gas
12 companies, onsite hydrogen production
13 manufacturers, natural gas and electric utilities,
14 universities, government, the renewable energy
15 industry and traditional fuel suppliers. Ideally
16 this plan will outline and detail where the first
17 stations will be needed, how much they will cost,
18 and what incentives the State should provide for
19 early adopters in this market to build upon Federal
20 alternative fueling infrastructure and vehicle tax

21 credits..

22 PRESIDENT SOLOMON: Any questions?

23 Can you give him a copy of your comments,
24 do you have a copy of your comments?

25 MS. SELMAN: Yes, ane I submitted them

28

1 on-line.

2 PRESIDENT SOMOMON: Is there any record
3 of the financing methods and cost recovery period
4 for these alternative fuel vehicles or the stations,
5 the cost, the financing method and how long it takes
6 to recover costs, is there anything like that
7 available?

8 MS. SELMAN: No.

9 PRESIDENT SOLOMON: If there is could you
10 submit something to us? You can do that on-line.

11 Ray Kenard?

12 I guess you are speaking for Mr.
13 Sherman,if you would come up. Are you with
14 Northeast Transportation Electrification Alliance?

15 MR. KENARD: Yes.

16 My name is Ray Kenard, I am the
17 Executive Director of the Northeast Transportation
18 Electrification Alliance, Jim Sherman is one of the
19 Director of the Alliance.

20 Our business is to advocate for electric
21 commercial fleet vehicles, we do not talk about
22 passenger vehicles, our interest is in the large
23 numbers of very large vehicles that you find on the
24 highways every time you drive down the highways.

25 The Department of Motor Vehicles in New
Page 24

1 Jersey actually issues licenses for eight hundred
2 and twenty thousand vans, tractors, trucks, busses,
3 everything other than passenger vehicles, and this
4 is the market we pay attention to.

5 Rather than making any formal comments, I
6 would just like to comment on a few points that
7 Chuck Feinberg brought up which we think are very
8 pertinent and appropriate.

9 One of the areas of major interest we view
10 is energy efficiency for the State. CNG vehicles
11 represent a major advancement, but electrically
12 fueled vehicles actually do substantially better
13 because they completely eliminate any carbon fuels
14 at all. The tailpipe emissions are zero, there are
15 actually no tailpipes on the vehicles installed.

16 The effectiveness of the use of the energy
17 is the point I wanted to make. The Massachusetts
18 Institute of Technology had a symposium about a
19 year ago where they tried to evaluate all of the
20 fuels and what the future of the transportation
21 systems in the United States would be in terms of
22 what the vehicle technology would be.

23 It identified them and in the case of CNG
24 for one thousand standard cubic feet of compressed
25 natural gas was fed to a vehicle, you would get

1 something like two hundred and twenty miles. The
2 point about that is that that same quantity of

3 national gas if it is sent to a power plant and the
4 electricity from the power plant was used for an
5 electric vehicle, that would result in the vehicle
6 traveling four hundred and fifty-seven miles.

7 The difference is because of the high
8 efficiency of electric motors. An electric motor is
9 eighty to ninety percent efficient in converting
10 energy to motion, the internal combustion engine is
11 considerably less, thirty percent efficient.

12 So when you balance the systems in terms
13 of wheel-to-wheel type evaluations you will find
14 there is a major advantage in using electricity
15 derived from natural gas rather than using natural
16 gas directly.

17 what we have looked at is the major
18 concentration of vehicles in Northern New Jersey
19 because of the presence of the Port Authority and
20 the concentration of residents in that particular
21 area. The concentration of residents in a forty mile
22 radius from the City of New York is about twenty
23 million people, which is one of the biggest
24 concentrations of people in the United States.

25 When you look at what you actually have

31

1 with all of the people who have mail and food
2 delivered, all of the cargo vans and so forth, you
3 have a tremendous family of vehicles that are on the
4 sort of vehicles Chuck was talking about.

5 The cargo vans and delivery vehicles
6 represent about fifty percent of the very, very
7 large number of vehicles in Northern New Jersey.

8 The other fifty percent are the big delivery
9 vehicles that move freight, there are hundreds of
10 millions of tons of freight moved out of the Port
11 Authority every year and it travels no more than
12 thirty miles, a radius of thirty miles from the Port
13 Authority where these cargoes or containers are
14 delivered into about four hundred million square
15 feet of warehouse space.

16 These are the real big consumers of
17 energy, these are vehicles that get four to five
18 miles per gallon. The average truck travels sixty-
19 three thousand miles a year, and you can calculate
20 how much fuel that represents; we are talking about
21 forty, fifty thousand dollars a year to pay for the
22 vehicle's fuel.

23 This is the area we focused on. We
24 addressed the Essex County (inaudible) and suggested
25 that what we should be looking at is what we can do

32

1 about electrifying' the transportation systems, the
2 commercial fleet transportation systems in the four
3 Counties of Essex, Monmouth, Union and Hudson which
4 are the four Counties that surround the Port
5 Authority facility.

6 We ended up writing a proposal to the DOT,
7 which is a five year Master Plan for the northern
8 part of New Jersey. We did not get the award. The
9 award went to New York State, which the
10 Transportation and Climate Initiative of the State
11 of New Jersey and New York State are now cooperating

12 on.

13 We had a very nice commentary out of the
14 Department of Energy but we were talking about a
15 very small area, and New York City is a much bigger
16 area and more concentrated area than what we are
17 talking about here in New Jersey.

18 However, out of this effort we marshalled
19 the resources to deal with questions of the
20 transportation grid, we marshalled the resources of
21 Public Service for local distribution systems,
22 Verizon for maintenance vans, United Parcel Service
23 for delivery vehicles, and a number of others, we
24 all cooperated in preparing this particular
25 proposal, and that resulted in our identifying the

33

1 need to repower cargo vans, which is exactly what
2 Chuck was speaking about a moment ago, and we
3 presented it to the City of Newark, Essex County,
4 the concept of doing a repowering facility for
5 repowering cargo vans, Ford and General Motors cargo
6 vans.

7 As a result of this effort, we have a
8 tentative commitment from Verizon and Public
9 Service, the two of them together will have five
10 hundred of their vehicles, of their cargo vans, of
11 their maintenance vans of their service vans, trucks
12 retrofitted in this facility in Newark, and we are
13 actually pursuing that.

14 The next step is to provide for Verizon
15 and Public Service a test vehicle, a sample vehicle
16 that they can drive for three, four, five, six

17 months and determine if it satisfies their needs,
18 and if we can satisfy them as to the manufacturing
19 cost we will have more than five hundred vehicles
20 for this facility.

21 And a very important thing in this whole
22 situation is that the cost of these vehicles is very
23 high, and one of the reasons that they are very high
24 is because they are hand built. We are focusing on
25 the idea of getting commitments for fleets of

34

1 vehicles, hundreds of vehicles.

2 The other activity in the area, United
3 Parcel Service has a distribution center in Secaucus
4 which has three hundred medium duty trucks that they
5 use for delivery purposes.

6 United Parcel Service last August, August
7 of this year, purchased one hundred medium duty body
8 electric trucks, and those trucks are used in
9 California.

10 When we approached United Parcel Service
11 about cooperating with us in Essex County, they were
12 very interested in this because they said most of
13 that work was in California but they really wanted
14 to do some work on the East Coast but they didn't
15 see much activity here.

16 United Parcel Service has agreed that they
17 will convert all three hundred vehicles at the
18 Secaucus Distribution Center if we are able to
19 develop funding that is necessary for the
20 incremental cost required to do this..

21 In addition to the three hundred medium
22 duty trucks that you United Parcel Service has in
23 Secaucus they have another three hundred and
24 sixty-one in three different depots in New York
25 City, and the New York State Research and

35

1 Development Authority has funding for the
2 incremental cost of these vehicles, and we have
3 submitted a proposal.

4 So I what I am trying to deliver to you is
5 the fact that we believe and in fact the
6 Massachusetts Institute of Technology symposium
7 believes that the vehicle of the future is electric
8 and that innovations will occur that will both
9 cause the cost of the vehicles to go down and fuel
10 efficiency to improve in many ways.

11 we are already beginning to see
12 innovative changes occur. Ford has an E-250 cargo
13 van that has been repowered with electricity, this
14 vehicle can provide frequency regulation service and
15 stabilize the grid. We will have that vehicle in
16 Newark and Trenton sometime in December and it will
17 be put on a demonstration of this vehicle's fine
18 frequency regulation.

19 Much of the development work on this was
20 done by the University of Delaware, they have been
21 doing this since the year 2008 with a series of
22 vehicles that are able to earn twenty five hundred
23 dollars a year just by being plugged in. That's one
24 of the innovative things that is happening and we
25 believe that this technology applies to larger

1 capacity vehicles.

2 The latest thing that we are doing is we
3 have had identified to us that it is available
4 wireless charging technology. You can charge these
5 vehicles without chargers, without wires and without
6 cables, without having to plug them in. We are
7 working with Siemens on this. There are five
8 vehicles in Berlin operating with that technology at
9 the present time.

10 We are in the process of preparing the
11 technical data for submission to the City of New
12 York where the application is for the City's fleet
13 of twenty-six thousand vehicles, we also will be
14 proposing, we haven't yet done it but we have a
15 meeting scheduled with Port Authority personnel to
16 talk about airport airport shuttle busses where a
17 shuttle bus can be recharged by a sort of continuous
18 loop, hotel shuttle buses.

19 One of the ancillary advantages of
20 wireless technology is you can use it for something
21 like the shuttle bus, you don't need a big battery
22 that you recharge. Every time it stops to pick up a
23 passenger it is recharged.

24 I think that covers pretty much of what I
25 wanted to say. I think we have some very, very

1 exciting days in learning about this new technology.
2 This is innovative, this will create jobs. If we

3 are successful in getting funding for the UPS three
4 hundred vehicle medium duty truck project, we are
5 trying to pursue the funding for that with the
6 Federal government, if we get that funding for three
7 hundred vehicles in Newark it would justify Electric
8 Vehicle International building a vehicle
9 manufacturing facility in New Jersey.

10 So that is manufacturing technology that
11 will evolve, jobs will evolve out of this and a whole
12 new industry, it requires maintenance people,
13 service people, suppliers, and so it has
14 potentially a very major impact.

15 PRESIDENT SOLOMON: Before you leave, I
16 don't know if there are any questions, what is the
17 idea of wireless chargers?

18 MR. KENARD: Wireless chargers, there is a
19 technology called inductive magnetic resonance, you
20 have two coils, one coil is in the pavement and one
21 coil is in the truck. This coil generates a
22 magnetic field, that magnetic flow, flux, goes to
23 the other coil, the flow that then generates
24 electricity and charges the vehicle.

25 PRESIDENT SOMOMON: So essentially at

38

1 every stopping point you will find a coil for like a
2 bus, a public transit bus, and it would be charging
3 as it goes?

4 MR. KINARD: That's right. And It has the
5 other advantage, you can put in a system where you
6 don't have to have a credit card, you would be
7 identified electronically as your vehicle came up

8 and get charged for the power.

9 we think that the biggest operation for
10 that at least in the near future would be in the
11 fleet vehicles because public vehicles don't travel
12 routes, they travel in random areas, but fleet
13 vehicles start at the same place every night and end
14 up in the same place every day.

15 Even without wireless, all the UPS trucks
16 have on-board chargers, UPS drives their trucks up
17 to the docks and as they are loading and unloading
18 merchandise they plug their truck in and they charge
19 their trucks.

20 So there are a lot of things happening and
21 people are just beginning to recognize some of the
22 things.

23 PRESIDENT SOLOMON: Thank you.

24 Laura Dooley, Alliance Automobile
25 Manufacturers.

39

1 MS. DOOLEY: Good afternoon.

2 My name is Laura Dooley, I am the Director
3 of State Affairs for the Alliance of Automobile
4 Manufacturers.

5 The Alliance is a trade association of
6 twelve of the world's leading passenger car and
7 light truck manufacturers, we represent BMW,
8 Chrysler, Ford, General Motors, Jaguar-Land Rover,
9 Mazda, Mercedes, Porsche, Toyota, Volkswagen and
10 Volvo, and four of these companies have their North
11 American headquarters in New Jersey.

12 we thank you very much for the opportunity
13 to be here today to comment on the Energy Master
14 Plan. The Alliance is very supportive of the plan's
15 goal as to maximizing criteria in greenhouse gas
16 emissions reduction through promoting the use of
17 alternative fuels and advanced technology vehicles.

18 we are also very supportive of the fuel
19 neutral, technology neutral approach that is laid
20 out in this plan.

21 vehicle manufacturers spend a significant
22 amount of money on research and development, on a
23 whole host of technologies to achieve goals to make
24 safer, cleaner and even efficient vehicles.

25 we strongly believe that public policy

40

1 that supports a diverse portfolio of advanced
2 technologies are the best way to bring these
3 technologies to the market and encourage consumer
4 acceptance of the technology that works best for
5 them.

6 Alternatively, the Alliance opposes a
7 technology mandate that is a wrong public policy
8 choice for the State, for businesses and for
9 consumers.

10 New Jersey has a long-standing California
11 policy on zero emission vehicle mandate, It is a
12 battery, electric and fuel cell hydrogen fuel cell
13 mandate, that regardless of demand or the necessary
14 infrastructure to support the vehicle, manufacturers
15 must deliver for sale specific quotas on electric
16 vehicles and hydrogen fuel cell vehicles in New

17 Jersey and other similar states that follow the
18 California plan. This policy was adopted in New
19 Jersey several years ago as a concurrence of the
20 California low emission vehicle program.

21 we strongly believe that any investigation
22 of better alternative fueled vehicles or advanced
23 technology vehicles in the State must include a
24 thorough review of this mandate to determine if
25 that type of policy to mandate certain technolgies

41

1 is consistent and complementary of the State's
2 stated goal in this plan of moving forward in a
3 technology neutral and a fuel neutral path.

4 That mandate is a moving target for
5 vehicle manufacturers, it has been since the day
6 it was conceived in California, it changed initially
7 from an electric vehicle mandate to a fuel cell
8 mandate to a combination of electric vehicle and
9 fuel cell mandate.

10 And this change is very much at the whim
11 of California. California deems it to be
12 technologically feasible and desirable, but it is
13 not relevant to what is desirable in the market,
14 what manufacturers can put forward and what
15 consumers are asking for or even what the State of
16 New Jersey wants, yet New Jersey is following this.

17 we strongly encourage New Jersey to take
18 the opportunity in conjunction with this plan to
19 reevaluate this mandate in this report.

20 with respect to electric vehicles, we

21 heard some great things earlier from some of the
22 speakers about the number of models of electric
23 vehicles that are coming to market. Our industry is
24 very excited about offering those for sale in the
25 State of New Jersey.

42

1 However, we have to question whether or
2 not it is appropriate to mandate these technologies
3 when we are finding through processes like this that
4 there are still significant hurdles to consumers
5 accessing these technologies on a wide-spread
6 basis.

7 According to the report that was put
8 forward, there are still significant barriers that
9 remain to wide-spread electric vehicle adoption,
10 most of these barriers have to do with
11 infrastructure and its development moving slowly in
12 the State of New Jersey.

13 Currently we have thirteen electric
14 vehicle charging stations in New Jersey. That's
15 not nearly enough to support the mandate that
16 manufacturers have for delivering these cars for
17 sale.

18 With respect to hydrogen fuel cell
19 vehicles, it becomes an even more difficult hurdle.
20 There are various statements about putting the fuel
21 cell vehicles in the market when they are
22 commercially ready, but currently, as we heard,
23 there are zero charging stations.

24 We have to ask ourselves because it is
25 important if it makes sense to mandate a technology

1 that we can't actually support the infrastructure
2 necessary for it.

3 Both of these technologies are critical
4 components of our transportation, and the Alliance
5 is very supportive of getting these cars onto the
6 market; we just want to make sure that the State
7 sets policies for building the infrastructure
8 necessary to support them when they come onto the
9 market.

10 Manufacturers continue to innovate and
11 bring forward technological advances with respect to
12 our products. Vehicles are ninety- nine percent
13 cleaner than they were thirty years ago, and we
14 continue to find ways to make them even cleaner.

15 with respect to carbon and greenhouse gas
16 emissions, we want to make mention of the historic
17 national program that exists between the US EPA,
18 the National Highway Traffic Safety Administration,
19 the Obama administration, the auto industry and
20 environmentalists that will result in a forty
21 percent nation-wide fuel economy average increase to
22 thirty-five and-a-half miles per gallon by 2016,
23 that will equate to about a thirty percent reduction
24 in greenhouse gas emission nation-wide?

25 This program is being extended through the

1 year 2025 and we anticipate that we will be hitting
2 a new fuel economy average of fifty four and-a-half

3 miles per gallon by that year. A lot of that will
4 be due to advanced electric vehicles coming onto the
5 market.

6 I am encouraged by New Jersey and their
7 strong focus on infrastructure development and we
8 hope the State continues down this path to support
9 a diverse portfolio of technologies in alternative
10 fuels, but we also ask the State to take this
11 opportunity to review and potentially repeal any
12 conflicting policies that are on the books that may
13 stop the progress that's being made.

14 Thank you.

15 PRESIDENT SOLOMON: Thank you.

16 Any questions?

17 Ray Albrecht?

18 MR. ALBRECHT: My name is Ray Albrecht,
19 technical representative for the National Biodiesel
20 Board.

21 I am from Upstate New York, some of you
22 may know me, I spent over thirty years at the New
23 York State Energy Research and Development Authority
24 as the project manager for alternative fueled
25 research, partly for vehicles but mostly for heating

45

1 applications, which is related to transportation in
2 terms of the types of fuels we have talked about. I
3 appreciate the opportunity to speak for a few
4 moments here.

5 The National Biodiesel Board is the
6 national trade association for the biodiesel
7 industry, which includes biodiesel producers, folks

8 from the agricultural community as well as including
9 fleet vehicle operators, many of whom are also
10 interested in other energy types that we are hearing
11 about today.

12 I think overall the viewpoint of the
13 National Biodiesel Board is that we hope that all of
14 the alternative fuel technology succeeds in the
15 marketplace, we are not here to say that biodiesel
16 is better than natural gas or electric or hydrogen
17 fuel cells or any other options, we really think it
18 will take a broad array of technology to get to
19 where we need to be in order to solve the climate
20 change problem which is in all of our mutual
21 intereste here.

22 We want to express appreciation to the
23 State of New Jersey for giving consideration to
24 biodiesel in your Energy Master Plan planning
25 efforts here.

□

46

1 One of the major advantages of biodiesel
2 is that up to about a B-20 concentration it is
3 essentially a drop in fuel from the end user's
4 perspective. You have very little in the way of
5 capital cost that is required in a diesel powered
6 truck or any other diesel powered application to use
7 biodiesel, so that's one advantage.

8 The other thing is that in terms of
9 comparison with energy usage, greenhouse gas
10 emissions compared to traditional petroleum,
11 biodiesel does achieve well over eighty percent of

12 CO2 or greenhouse gas emissions compared to
13 petroleum, and that's where we need to be for the
14 long-term, it is not just a bridge, it is really
15 one of the end points of our collective efforts
16 here.

17 Most typically, we speak of biodiesel
18 achieving over eighty or it is now eighty five,
19 eighty six percent greenhouse gas emission savings
20 compared to traditional diesel fuel but we also need
21 to remember that compared to natural gas it achieved
22 over seventy percent greenhouse gas savings, and
23 that is an important factor to be taken into
24 account.

25 what are the issues that might be barriers

47

1 to biodiesel application here in the Northeast? And
2 I will address these head-on.

3 The topic of sustainability, food versus
4 fuel, has been very, very controversial over the
5 last couple of years as we have seen commodity price
6 volatility in the marketplace. The essential point
7 that I would make here is that we don't have to look
8 at energy cost production as being a food versus
9 fuel issue but, rather, with smart agriculture, with
10 innovation, which is well underway now in all of the
11 agricultural research organizations and universities
12 across the nation, that we can have food and fuel.

13 By this I mean increasing yields of all
14 crops with lower inputs of energy, with smarter
15 farming and less fertilizing, smarter application of
16 fertilizer, and also some new ways of using our

17 agricultural land such as double cropping, planting
18 two crops side-y-side literally, and then also
19 developing the huge potential that exists with
20 winter cover-cropping even here in the Northeast
21 where we have cold winters.

22 For example, camelina, which is a very
23 good oil based seed, can be planted in the fall and
24 harvested in the late spring, very early summer,
25 prior to the traditional seeding dates for other

48

1 more traditional crops.

2 So the National Biodiesel Board is really
3 undertaking a huge task in trying to educate the
4 public, trying to make it an industry at-large
5 about really what the potential is for the future
6 with energy crops.

7 The other point is our production, and I
8 speak here for myself; even prior to my time at
9 NYSERDA I was a foreign aid worker in East Africa,
10 northeast of Kenya near the Somalia Republic, I
11 spent several years there and became intimately
12 involved with Third world agriculture.

13 Some of the most exciting upcoming sources
14 of feed stock bio-fuel production actually is
15 occurring in the Third world areas where these types
16 of plants such as sulphur oil and other plants are
17 now coming on strongly mostly with support from the
18 United Nations.

19 So there is a huge potential to not just
20 reduce emissions into the environment and sending

21 more money to folks who are perhaps not so friendly
22 to us but also to encourage international economic
23 development, especially in the lower twenty percent
24 of supply.

25 In terms of recommendations, the point

49

1 that Chuck made about financial assistance, we fully
2 support efforts to provide assistance.

3 what really works best I think in this
4 tough economic environment we are in would be low
5 interest rate revolving type of loan funds,
6 especially for smaller businesses where capital
7 investment is either very tight or non-existent in
8 today's banking environment.

9 we also believe that education is
10 important, and I think a focus on commercial-
11 industrial end-user customers as well as the
12 industry partners such as the fuel terminals would
13 be a valuable task for the State of New Jersey to
14 undertake.

15 Back to the issue of feed stock for
16 production. We would strongly encourage a
17 collaborative, an energy industry and the
18 agricultural industry collaboration here in New
19 Jersey in order to learn more and to implement the
20 technological innovations in agricultural
21 production; I think that would be key to really make
22 this a true industry and agricultural partnership.

23 Lastly, New Jersey is the last of the
24 forty-eight Continental States to not have standard
25 biodiesel fuel quality limits, the ASPM-6751

1 standard. This is really a living document that has
2 a long list of physical and chemical property
3 standards for biodiesel. The purpose of this is to
4 really insure the equipment manufacturers and the
5 end-users, the owners of the vehicles, that they
6 will achieve the performance and the long-term
7 service life of the equipment that they need in
8 order to feel confident about using biodiesel.

9 It is really difficult to underestimate
10 the importance of fuel quality standards, we don't
11 want to be the only state in the nation that does
12 not have a fuel quality standard and if we can offer
13 you any help in implementing that fuel quality
14 standard we can have some discussion.

15 Thank you.

16 PRESIDENT SOLOMON: Thank you.

17 Sal Risalvato, New
18 Jersey-C-Store-Automotive Association; is that
19 right?

20 MR. RISALVATO: Yes, it is, formerly the
21 New Jersey Gasoline Retailers Association.

22 My organization represents the gasoline
23 retailers in the State of New Jersey, and I would
24 like to commend this Committee for their work, for
25 this report, I would like to congratulate Chuck on

1 his efforts and his fine work.

2 And there is an awful lot here that has

3 merit, that needs to be moved forward on and a bit
4 to be expanded on.

5 There are a few things here that I do take
6 a little bit of issue with.

7 The one thing that has come up in this
8 report and has come up repeatedly today is the word
9 "infrastructure." My members are the
10 infrastructure. In New Jersey we have about twenty
11 five hundred gasoline retail diesel fuel outlets
12 open to the public and also to fleets.

13 I agree, fleets are the way to go, and we
14 have talked about fleets that have public dispensing
15 facilities. However, my members provide extremely
16 very public dispensing facilities that are also open
17 to fleets.

18 I agree, we need to have some kind of a
19 marriage here. What I think this Committee needs to
20 do, the State of New Jersey needs to do, is to act
21 as somewhat of a matchmaker and begin to marry those
22 fleets with the retail locations that already exist
23 in a strategic plan geographically around the State
24 so that we can get the best corridor possible that
25 will include both fleets and the average motorist.

52

1 We have a tag-line for our organization,
2 that we serve the small businesses that serve the
3 motorists that use gasoline, diesel, hopefully
4 electric in a very large and oncoming way, propane,
5 natural gas in several forms, ethanol and all kinds
6 of gasoline blended with ethanol.

7 The one issue that I take with this

8 report, and I thank the lady from Connecticut,
9 today, and that is hydrogen.

10 This report was very clear and very
11 accurate when it talked about the large role that
12 hydrogen should play and will play in our future.
13 However, my disagreement comes in the timetable. I
14 think we need to be extremely aggressive in moving
15 hydrogen into the marketplace and be a player with
16 natural gas and propane that will be the short-term
17 solution because they are abundant.

18 we are all here today because we need a
19 solution to an energy problem, we need a solution to
20 an environment problem, but we also need a solution
21 to an economic problem, and economics is what will
22 dictate this whole thing.

23 I was in the service-station business back
24 in 1978, I owned an Exxon Gas Station, I was part of
25 the gas lines in 1979, I got involved with alcoholic

53

1 fuel back then.

2 Now, it has come a long long way since
3 then, I had high hopes for it and I know we can
4 debate where ethanol stands in terms of the
5 environment and food supply and all those other
6 things that are pro's and con's; this Committee is
7 not here to debate that.

8 I believe that we need to look at every
9 single one of these components, not just in an
10 abundant fuel but in a renewable fuel. Ethanol is
11 totally renewable. I think there is an

12 infrastructure in place right now, certainly through
13 my membership, that can easily accommodate expanded
14 use of ethanol, E85 and especially with more flexed
15 fuel vehicles coming onto the marketplace, so we
16 need to put an emphasis on that; that
17 infrastructure is just about automatic.

18 In terms of electric, yes, I was
19 surprised, Mr. President, that you weren't aware of
20 the wireless charging. I want to get my members
21 involved in this because it is just a natural that
22 their customers that fill up with gasoline and
23 diesel should be charging with electricity.

24 I have been trying to drum into my
25 members' heads for the last few years that they are

54

1 not in the gasoline and diesel business, they are
2 not in the petroleum business, they are in the
3 transportation energy business, and if electricity
4 is going to be that transportation energy then they
5 need to sell it.

6 Hydrogen, they will need to sell it. I
7 have already started looking into how we can start
8 to get some hydrogen facilities around the State.

9 Propane and natural gas is an easy match
10 with my members, those that have the available
11 properties can easily install facilities that
12 dispense propane and natural gas to fleets and to
13 customers.

14 Imagine when we marry fleets with the
15 available facilities that exist now, the
16 infrastructure that exists now, and customers are

17 sitting at the gas pump and they are watching an
18 alternate fuel being dispensed, they are
19 automatically going to be doing calculations in
20 their heads: how does it save them money?

21 The economic leg is going to play a big
22 role in what customers will do. We do need to start
23 with the fleets, we need to marry those fleets with
24 the existing infrastructure, use it to promote to
25 the general public as these technologies become

55

1 available and are more prevalent as hydrogen,
2 propane and natural gas, the motoring public is
3 going to start to adapt; economics is going to
4 dictate that.

5 Thirty years ago this discussion couldn't
6 take place much. Today we are closer economically
7 in all of these technologies and we compare it to
8 gasoline, diesel in terms of the cost and the
9 consumption. We need to be able to make it so it is
10 available.

11 My members provide that infrastructure.

12 This body needs to work as the matchmaker
13 to match those people up with the existing
14 facilities. I pledge an active role in that
15 capacity, to make that happen.

16 PRESIDENT SOMOMON: I really just have
17 one question.

18 Do you have an inventory of sites or
19 stations that have available facilities, for
20 example, for natural gas, I assume they all have

21 electric charging capability, but do you have an
22 inventory of those stations? Because if we know that
23 they are dotted around the State and they have
24 available natural gas, for example, CNG becomes the
25 immediate less costly option.

56

1 MR. RISALVATO: An inventory where these
2 facilities exist?

3 PRESIDENT SOLOMON: The stations that
4 exist that have access to natural gas at their own
5 sites?

6 MR. RISALVATO: I do not, but I don't think
7 that will be difficult to obtain.

8 PRESIDENT SOLOMON: That would be very
9 helpful, to know how many there are, where they are.

10 MR. RISALVATO: As was stated earlier, I
11 do believe that those that sell propane and natural
12 gas, that they would be willing to get all these
13 things set up.

14 At one point I went into the propane
15 business, I had a company that I loved, they came in
16 and they set up a propane dispenser with which you
17 could barbeque but it was not for use in vehicles.

18 PRESIDENT SOLOMON: It would be very
19 helpful to have that list of existing facilities
20 that have access to those resources.

21 MR. RISALVATO: I am beginning to get into
22 all these things with my members, so that is
23 something I will make note of and see what I can do
24 to start accumulating that.

25 PRESIDENT SOLOMON: Thank you.

1 Any questions?

2 Mention your name, if you would.

3 MR. POMEROY: Ted Pomeroy.

4 In looking around the sites, particularly
5 for compressed natural gas fueling sites, the level
6 of complexity comes on two levels: One is the
7 available pressure within the pipeline at the street
8 and the other is the quality of the methane.

9 The quality of the methane comes up in the
10 PSE&G service area, but I find in working with local
11 distribution company executives that many times a
12 question comes up, do we have the right kind of
13 service, the right kind of pressure? Then a phone
14 call has to be placed to a local engineer. There is
15 no inventory of the pressure within their service
16 territory.

17 PRESIDENT SOLOMON: We can certainly take
18 a look at it. Let's figure out what we've got in
19 place.

20 Thank you very much.

21 Jeff, Titttel?

22 MR. TITTEL: Thank you.

23 I just wanted to talk about a couple of
24 different parts of the transportation alternative
25 fuel report where we have concern.

1 we believe overall that the report should
2 really be looking more toward the future and not

3 just reporting on what we have. We know where we
4 have electric vehicle charging stations; the
5 question is, where do we need them and how do we get
6 there?

7 I think that's the important part because
8 New Jersey is part of the California system and we
9 will be needing to promote more electric vehicles.
10 There are a lot of electric vehicles coming on-line
11 every day, there are more than thirteen of them that
12 will be out as pure plug-ins within the next
13 year, everything from the Mitsubishi I to an Edsal
14 sedan, plug-in hybrids, the fastest car on the
15 market is the (inaudible) sports car, and with the
16 Governor's proposal for having a Grand Prix in the
17 Palisades it would be kind of nice to see
18 alternatively fueled vehicles racing some Formula I
19 cars, It might be nice to have like a Green Derby
20 or Green 500.

21 So New Jersey has always been in the
22 forefront in the auto industry. My dad worked at GM
23 in Linden for many years.

24 we have the ability here, we have
25 companies in New Jersey that make fuel cells, BASF

59

1 has a facility up in Franklin Township. We have
2 companies working on fuel cell cars here, we are the
3 top innovator in the country and one of the best.

4 And we need to release some of this
5 innovation, and unfortunately I don't think this
6 plan does enough to do that.

7 we need to develop a plan to figure out

8 where and how we are going to grow our electric
9 vehicle fleet, how we are going to encourage more
10 residential or greater use of electric vehicles, and
11 then how we put it together.

12 We have New Jersey companies that are out
13 there already, NRG headquartered in Princeton is
14 building a fleet of electric vehicles charging
15 stations in Houston, of all places. 7/11, we have
16 plenty of 7/11's in New Jersey.

17 There are other companies that are based
18 here who are working on similar things.

19 Quite frankly, there is legislation that
20 is currently stuck in the State House that could
21 help, helping to fund or build charging stations
22 along the Parkway and Turnpike rest areas, coming up
23 with incentives for shopping centers and others to
24 put in electric vehicle charging stations.

25 But there is also a free market that wants

60

1 to do it if they see there is money involved. We
2 need to put in rules and regulations to encourage
3 that because once people go to shop, they will be
4 able to plug in their cars, and that will encourage
5 them to maybe stay a little longer and buy a few
6 more products, and I think a lot of commercial
7 entities are looking at that, so we have plenty of
8 places to do this and I think that we ought to be
9 embracing that.

10 I don't think this plan, I see more '72
11 Dodge Darts than brand new Priuses, and I think we

12 need to come up with a plan and figure out how to
13 pay for it.

14 One of the things we could look at as we
15 move away from some of our other programs that have
16 worked on renewable energy, we could use some of
17 that funding, SBC, to help build charging stations.

18 Another important part of that is to tie
19 the charging stations to alternative energy.

20 If you go to Santa Monica, at their Civic
21 Plaza they actually have solar panels that are the
22 shape of the roofs of cars and plug-in stations
23 below, and they have solar panels on their parking
24 decks for people who go into the Civic Plaza.

25 we can tie those together because having

61

1 clean electric vehicles and getting in fuel from
2 dirty coal doesn't make sense, but if we can tie it
3 to renewable energy in New Jersey's Clean Power
4 Program it will actually help these stations work
5 better and with much more efficiency for the
6 environment.

7 Another concern that we have, and I know
8 that the BPU is not the DOT, and part of the
9 problem is that we have a DOT, Department of
10 Traffic, that really hasn't changed much under many
11 different administrations, they are still kind of
12 stuck in the Robert Moses school of transportation.

13 But one of the things we should be looking
14 at is not only the expansion of mass transit, there
15 are many good projects that are out there that are
16 kind of stuck right now, like the MOM (phonetic)

17 Line, like the northern branch in Bergen County,
18 like the expansion of the Bergen-Hudson Light Rail
19 or South Jersey Light Rail or many other projects
20 that need be to be considered as part of our
21 transportation plan because, quite frankly,
22 developing more mass transit is part of it,
23 increasing bus service in certain areas and having
24 clean busses that are either electric hybrid or
25 compressed natural gas should be part of that.

62

1 An important part of all this which this
2 State has fallen completely flat on is trip
3 reduction. Many states have done a really good job
4 on this, California has, one, to help save fuel,
5 two, it helps on pollution, and, three, it enhances
6 capacity on our roads and bridges.

7 I have a good friend of mine who lives in
8 Pasadena in Southern California, and the company he
9 works for is in Orange County. He has a CNG van that
10 he picks up eight of his co-workers with and all
11 nine of them drive down to work everyday, one,
12 taking some traffic off of 405, but more importantly he
13 doesn't have to have a second car. He saves money,
14 the company gets incentives to do it.

15 There are ways to help companies to pay
16 for these kinds of projects and you get cleaner air
17 and get more cars off the road.

18 They have a pool car for people who get
19 struck late at work or have to leave for a family
20 emergency, and part of it is paid for by something

21 called cash-out parking where the owners of property
22 who help pay for these kind of systems can develop
23 other things on their land.

24 In Orange County, they use part of the
25 property to put in car-bus or a strip mall on a

63

1 piece of their property and the extra money they get
2 helps pay for it.

3 Some companies in California and
4 Massachusetts put a small fee on traditional
5 parking, if you bring your car to work you help
6 subsidize mass transit, so there are ways of doing
7 it without being unduly burdensome and this
8 naturally helps create new businesses of all kinds.

9 we also believe quite frankly and strongly
10 that ethanol is not the way to go at all. we
11 believe that ethanol increases pollution, especially
12 ground level ozone because it evaporates at very low
13 temperatures in the summertime, we also believe that
14 you don't get the same amount of energy out of a
15 gallon of ethanol than a gallon of gasoline.

16 The whole issue of food and fuel is a very
17 serious one, It is actually bad for the environment
18 overall because of the air quality impact, and for
19 some bio products as well, there are some that come
20 from waste oils and others that work well, there are
21 others where it doesn't make sense.

22 There is other research going on, whether
23 it's sedge grass or algae that we should be looking
24 at instead of promoting taking our most productive
25 farm fuels and turning them into that.

1 we also believe quite strongly in natural
2 gas. we think that natural gas is a gas fuel but
3 also in the longer term not only is CNG and propane
4 very important for busses and trucks and fleets,
5 especially in urban areas that have high levels of
6 air pollution already, but there is actually
7 technology out there where you could run a fuel cell
8 and get the hydrogen from CNG or propane to run a
9 fuel cell in an electric motor.

10 we think that there is a lot of research
11 that needs to be done but it is also important, I
12 have seen in California quite a few charging
13 stations that are very well used by a lot of cars,
14 you see everything from Volkswagens and Toyotas
15 using them to UPS vehicles, so it has a lot of
16 potential.

17 we also think that there are a couple of
18 things missing that we should be looking at like low
19 carbon fuel standards to help lower carbon in our
20 fuels, and I know New Jersey intends to work with
21 other states on that, but it really will take a
22 Federal initiative.

23 And simple things, like there is also tire
24 standards that actually have tires will help lower
25 the amount of fuel use by about five percent, help

1 to make sure that people's cars are properly tuned
2 up and oil changed regularly is also a way of

3 lowering pollution and saving fuel.

4 There are a lot of big steps we can do and
5 a lot of small steps. I think this plan has some
6 positives in it, I think it identifies some areas
7 that are very important for our future, but I think
8 that areas need to be expanded: how do we come up
9 and pay for that expanded electrical charging
10 network that we need and how do we do the same with
11 CNG?

12 I think that there are tools out there
13 and methods out there to get it done. Together we
14 can move this State forward where we won't have to
15 be stuck in traffic and breathing in fumes like we
16 currently do, that we can actually have a greener
17 highway system and getting around the State that
18 will produce a lot less pollution, create a whole
19 new area for jobs and economic activity while making
20 the planet a lot more safer and secure.

21 PRESIDENT SOLOMON: Thank you, and I will
22 be calling the Governor in about a minute because I
23 am going to tell how the Sierra Club is going to
24 sponsor the Green Grand Prix.

25 You will all forgive me if I step out to

66

1 do a conference call, Commissioner Asselta will take
2 care of this for me and I will come back and close
3 up, and I will have a chance to read the transcript,
4 unless you want to waive, Mr. Kydd.

5 MR. KYDD: My name is Paul Kydd, the
6 company is Partnership 1, which converts pick-up
7 trucks to plug-in hybrids, and I would like to

8 second the Sierra Club in urging the working Group
9 to take a more forward-looking view, not of the
10 situation we have now but of the situation we might
11 have in the future, and not too far in the future.

12 we have thirty different kinds of electric
13 vehicles commercially being offered in the next
14 couple years and the projections are that a lot of
15 them are going to be sold, and it doesn't take very
16 many to make an electric storage capacity that is
17 big in electric utility terms, a million vehicles
18 at 20 kilowatts each is 2000 megawatts.

19 So there is a big opporunity here for
20 integration of the transportation energy supply and
21 the electric utility industry, and it is going to be
22 a revolutionary change. The 21st Century is going
23 to be different and there are some big opportunities
24 for revenue generation for somebody.

25 It was mentioned by the gentleman from the

67

1 Northeast here that electric vehicles can supply
2 regulation services to the electric utility industry
3 by virtue of having a big battery storing a whole
4 lot of electric energy available very quickly, and
5 it can either absorb energy from the system or
6 deliver it under wireless control.

7 So the wireless technology is here now,
8 the storage capacity will be here very soon, and
9 there is a big incentive to put the two together and
10 make a new electric utility system that can absorb a
11 whole bunch of renewables which need storage because

12 the wind doesn't always blow and the sun doesn't
13 always shine.

14 And so my recommendation is that the
15 working Group try to study what is going to be
16 possible in the future and how do we get from here
17 to there.

18 For example, it may be that the easiest
19 way to connect the vehicle to the utilities to
20 provide these services is by a Level 3 charger, a
21 direct DC link with high current to the utilities,
22 and if that is true then there is a major incentive
23 to encourage people who are buying all these
24 electric vehicles to buy them with a Level 3 option,
25 which costs them some money and it may be an

68

1 advantage.

2 So the bottom line here is, I am
3 encouraging Chuck to take a more forward-looking
4 view of what might be possible in the future, not so
5 much what is available now but what it could lead to
6 and the incentives that are available to finance it,
7 to see how we can get from here to where we could
8 be, which would be much more favorable.

9 COMMISSIONER FOX: You were saying storage
10 is going to be here soon?

11 MR. KYDD: Yes.

12 COMMISSIONER FOX: Where do you get that
13 from?

14 MR. KYDD: The electric vehicles, if you
15 have thousands, hundreds of thousands--

16 COMMISSIONER FOX: That's not going to be
Page 58

17 here by tomorrow.

18 MR. KYDD: You have got big storage.

19 COMMISSIONER ASSELTA: Anyone else that
20 maybe did not sign up that wishes to express an
21 opinion?

22 COMMISSIONER FOX: May I ask some
23 questions?

24 COMMISSIONER ASSELTA: Sure.

25 COMMISSIONER FOX: I have some questions

69

1 but I didn't want to ask them then because I wanted
2 to hear everyone else.

3 Did you guys get into at all the issue of
4 electric vehicle charging costs, the peak usage
5 versus the nighttime, who pays, and all that?

6 MR. FEINBERG: Yes, we talked about the
7 full range of things. I just whispered to Marybeth
8 if she could set the record straight about what the
9 Task Force was asked to do.

10 MS. BRENNER: We were very specific as to
11 what we were asked to do, so we just want to make
12 it clear that we are not in a position to have the
13 work Group go back to the drawing board and revise
14 their report. We want the benefit of your comments
15 as we do the final edits to the Energy Master Plan,
16 I wanted to make that clear, so it is not expected
17 that Chuck and his work Group are going to reconvene
18 to consider these comments, these comments will in
19 fact be considered as to revisions of the Energy
20 Master Plan as a supplement to what we got from the

21 Work Group.

22 MR. FEINBERG: AS to the comments about the
23 need to look at the future, everybody has to
24 consider where we are and where we have come from.
25 This is the first mention of alternative

70

1 transportation fuel in the New Jersey Energy Master
2 Plan ever, and while I congratulate the Board for
3 including this, it is mentioned several times in
4 the beginning and the most detailed mention of
5 alternative transportation fuels in the Energy
6 Master Plan is on something like page 126 of a 128
7 page document, so I thought it was very important to
8 set the base of where we are at and leave it to
9 further group discussion or further Board action to
10 come up with a more detailed feature of how we can
11 get there, where we want to go and how we can get
12 there.

13 Commissioner Fox, I forget your question.

14 COMMISSIONER FOX: Electric vehicle
15 charging peaking.

16 MR. FEINBERG: Can I call upon some of
17 the utility interests that were part of the Group to
18 address that?

19 MR. WHITMAN: Wayne Whitman from PSE&G,
20 and I was part of the Work Group.

21 Repeat your question, please?

22 COMMISSIONER FOX: Electric vehicles, how
23 do you get paid for the electricity that they use?
24 Obviously there are peak days, so it's a huge topic
25 of discussion, there are all these different

1 opportunities and options to do it.

2 MR. WHITMAN: If you look throughout the
3 whole United States there are a whole number of
4 different ways that utilities in the respective
5 states are looking at pricing their electricity and
6 or charging it.

7 whether or not it is a third-party
8 involved, PECO, they have a public charging station
9 and you go in and you swipe a card and you go
10 through a subscription service to charge your car.

11 It would be one rate for electricity that
12 you pay and it could be based on a whole number of
13 different circumstances. In California they have
14 real-time pricing.

15 we in New Jersey, we basically don't
16 have a per se electric vehicle rate, we have
17 different rates that we may be able to apply but we
18 don't have a specific electric vehicle rate.

19 Yes, it would be desirable to charge
20 off-peak at nighttime. But, again, and the rest of
21 the utilities, too, we don't have a specific
22 electric vehicle rate. That may be something in the
23 future.

24 COMMISSIONER FOX: That's a huge topic,
25 we are talking about electric vehicles now, we need

1 to decide soon how are they going to be paying for
2 the electricity before we get a whole bunch of them.

3 MR. WHITMAN: We could control that, if
4 there was a peak emergency situation utilities
5 could cut off that charging, but you are right,
6 there is really nothing in place that says we can
7 charge six times as much for the electricity.

8 COMMISSIONER FOX: Even if we have fleet
9 EVs they should be charging at least real-time
10 pricing if not more, otherwise you have a fleet, say
11 Public Service's fleet, and you are not being
12 charged real-time price, that means you are
13 contributing to the problem, and before we really
14 move very much ahead even on fleet, we need to know
15 how we are protecting the rest of the load.

16 MR. WHITMAN: Right now with the amount of
17 vehicles we see coming on-line in the load
18 projections, we are not--

19 COMMISSIONER FOX: I hope you are right.

20 MR. WHITMAN: We are working with the
21 Electric Power Research Group and there is a whole
22 national group of other utilities involved. We are
23 looking at loads and infrastructure issues, and the
24 only thing we have identified, there could be very
25 localized neighborhood type of issues in some of the

73

1 more older residential neighborhoods, but we are
2 able to handle that, too, if we have that situation.

3 A lot of times, we don't have the ability
4 to really know who is buying electric vehicles right
5 now so if we don't know, that may be an issue in the
6 future, that may be something we might want to have
7 more of an idea of, who is buying those type of

8 vehicles.

9 MR. STERN: Alex Stern, PSE&G.

10 There are charts in the report that sort
11 of touch on all of the issues you are raising and we
12 are short of ideas as to possible conclusions,
13 obviously you are raising huge and complex issues
14 which they try in the report to hit on a lot of the
15 problems you are are raising.

16 COMMISSIONER FOX: It is a major issue
17 because it is so congested to begin with.

18 A GENTLEMAN: In our work with electric
19 vehicles, we, too, are looking for PSE&G and other
20 utilities in New Jersey to specify what the tariff
21 rate is for large commercial fleets charging.

22 That's something that the Board of Public
23 utilities can do now through this process, through
24 the Energy Master Plan, work with PSE&G and Jersey
25 Central so that people with fleets know exactly what

74

1 that price should be, because right now there is no
2 transparency with that, and several utilities on the
3 West Coast have established time of use prices.

4 COMMISSIONER FOX: Real-time pricing for
5 electric vehicles in a state like New Jersey with a
6 heavy congestion issue, there might be another way
7 of doing it.

8 A GENTLEMAN: I want to add on the pricing
9 issue, what has to be considered is a hot charge and
10 a not so hot charge. Let's say you go into a
11 Parkway restaurant and you need a charge, you will

12 pay a premium to get a hotter charge or a quicker
13 charge than if you are at the mall and you want to
14 plug in and you are going to be in there for two or
15 three hours; that's a whole pricing issue, how much
16 will that cost for that hot charge as opposed to a
17 normal charge The pricing issue has many
18 complexities to it and we are only at the beginning
19 stages of that.

20 MR.FEINBERG: which is appropriate
21 because the technology to allow that five minute
22 charge at a rest stop is also in the early stages,
23 it's not quite there yet.

24 MR. PRINGLE: I am Dave Pringle, I am
25 Campaign Director for the New Jersey Environmental

75

1 Federation, we have over a hundred thousand
2 individual members.

3 I am glad that the Board is having these
4 hearings, I was pessimistic about the draft Energy
5 Master Plan, how open the process would be, so
6 these hearings is a step in the right direction.

7 I think that the report is a good
8 inventory of where we are today but I share other
9 commenters' thoughts that in addition to that it
10 should have been much more aggressive as to where do
11 we go from here and how do we get there.

12 Recognizing that the Committee's work is done, I
13 hope the BPU will look at that as they revise the
14 Energy Master Plan.

15 A lot of the people's comments here may or
16 may not have been directly germane to the work

17 Group, but certainly are in the same ballpark, and I
18 think they could have been a little more expansive
19 in what they were looking at, and certainly the BPU
20 can be.

21 we would like to see much more aggressive
22 work toward hydrogen and electric powered vehicles.
23 Ethanol, while it is renewable is not sustainable,
24 it messes up food prices, it creates costs, you use
25 more energy to produce ethanol than you gain in the

76

1 vehicle, and it creates air pollution problems
2 that other options don't, which is why the
3 Federation and the Sierra Club opposed efforts in
4 the past as to the MBGB (phonetic).

5 Another area, really I think the Committee
6 thought this was beyond their charge but the BPU
7 should certainly deal with it, and that is that the
8 best way to deal with this issue is not to need
9 fuel in the first place, whether it be through
10 better mass transit or where we put our houses,
11 where we put our jobs, that will have a greater
12 impact on this issue than any energy options we
13 choose to fuel those vehicles, and I think the Board
14 could be more expansive in looking at that.

15 And I think it is even more important for
16 the Board to do that, while the DOT should, it
17 isn't, and hopefully this new strategic growth plan
18 unveiled last week will look at that and change
19 that. There is some good material, good potential
20 in that plan the Governor laid out, but there are a

21 lot of vagaries and if first and foremost what we
22 want is transparency, we don't see that in this plan
23 yet, and if there isn't a solid plan we don't know
24 where we are going to grow, and there will be too
25 much discretion left and that will be going in the

77

1 wrong direction.

2 In terms of there is a Catch-22, the
3 infrastructure isn't there, the infrastructure is
4 not going to be there and the demand is there and
5 vice versa, we have got to break through that. Just
6 because it isn't there isn't an examine not to have
7 it.

8 Henry Ford didn't know where all of the
9 gasoline was going to come from in 1905; we don't
10 know where the electricity is going to come from to
11 power all of our laptops and everything we use
12 today, so we have to be pushing both ends at the
13 same time.

14

15 PRESIDENT SOLOMON: Any questions for
16 Mr. Pringle?

17 Anyone else?

18 I'm sorry that I missed the end of that.
19 We will review the transcript individually and as a
20 group. Written comments may be submitted on or
21 before November 15th, two weeks from today.

22 As I mentioned previously, we have a
23 couple of more hearings, November 7th at nine-thirty
24 and November 10th at nine-thirty, November 7th is
25 the Innovative Technology Work Group and November

1 10th is the Biomass work Group.

2 As in all these cases we have provided to
3 each of the groups a series of questions which you
4 can tell they are responding to answer. Make sure
5 you get your written comments in by the 15th. We
6 will review all of them and we have received about
7 three hundred just to date, don't be shy about it.
8 We will review all of the comments received and all
9 of the transcripts of these hearings and the Energy
10 Master Plan hearings before a final plan is put out
11 by the Governor.

12 With that, thank you very much for coming.
13 We appreciate your input.

14 Are there any other questions?

15 (Adjourned.)

16
17
18
19
20
21
22
23
24
25

1
2

C E R T I F I C A T E

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, William Sokol, Certified Shorthand Reporter of the State of New Jersey, License No. 30X100030700, and Notary Public of the State of New Jersey, do hereby certify that the foregoing is a verbatim record of the testimony provided under oath before any Court, Referee, Commission or other body created by statute of the State of New Jersey.

I am not related to any parties involved in this action; I have no financial interest nor am I related to an agent of or employed by anyone with a financial interest in the outcome in which this transcript was taken; and furthermore, that I am not a relative or employee of any attorney or counsel employed by the parties hereto or financially interested in the action.

WILLIAM SOKOL

Certified Shorthand Reporter
and Notary Public

□

1
2
3
4
5
6
7

1novembefr2011.txt

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

□