

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

NEW JERSEY BOARD OF PUBLIC UTILITIES

NEW JERSEY ENERGY MASTER PLAN

BIOMASS WORK GROUP

NOVEMBER 10, 2011 9:30 A.M.

RUTGERS ECO CENTER

BORDENTOWN, NEW JERSEY

B E F O R E: LEE SOMOMON, PRESIDENT

JOSEPH FIORDALISO, COMMISSIONER

NICHOLAS ASSELTA, COMMISSIONER

J.H. BUEHRER & ASSOCIATES
2295 Big Enough Way
Toms River, New Jersey 08755
732)557-4755

I N D E X

SPEAKER REPRESENTING PAGE

3	GAIL RICHARDSON WORK GROUP	4	
4	DAVID SPECCA WORK GROUP	14	
5	JOANNA UNDERWOOD	31	
6	PRISCILLA HAYES	38	
7	MICHAEL SMITH CEG POWER	41	
8	MIKE VAN BRUNT COVANTA ENERGY	50	
9	TERRY LYONS NTE ENERGY	54	
10	RAYMOND ALBRECHT NATIONAL		
11	BIODIESEL BOARD	59	
12	TED MICHAELS ENERGY RECOVERY		
13	COUNCIL	64	
14	DAVID PRINGLE NJ ENVIRONMENTAL		
15	FEDERATION	70	

16
17
18
19
20
21
22
23
24
25

PRESIDENT SOLOMON: I apologize for not

3

1 being on time. I had another matter that I had to
2 attend to, and it was emergent, and I think that it
3 will become more clear before the end of the dayaa
4 to what that matter was.

5 Thank you for being here at our last
6 work Group, this is the Biomass work Group, we will
7 receive a report on that, and I am not going to go

8 through all of my talking points again, but we have
9 been through a series of public hearings. We will
10 still entertain comments by sending an E-mail to our
11 Board Secretary's E-mail address within the next two
12 weeks from today, so if you have other things you
13 want to address or responses you want to make send
14 them to us to our Board Secretary's E-mails address.

15 All of the comments, all of the
16 transcripts, everything is being transcribed today,
17 will be reviewed by all of the Commissioners and we
18 will be looking at all that for guidance in
19 proposing a final draft of the Energy Master Plan
20 which we believe will be completed and hopefully
21 rolled out by the Governor at the end of the year.

22 Having said that, Gail Richardson and Dave
23 Specca are going to be our presenters today. I do
24 apologize, I know it is even later than I usually
25 am, I hope you will forgive me, but good luck. It's

4

1 all yours.

2 I see Commissioner Asselta and I know
3 Commissioner Fiordaliso is here. Commissioner Fox
4 is not here, she may be here later, she has another
5 commitment, so I said, "Commissioner, if you have to
6 be somewhere else, we will forgive you but only this
7 once," but she may be here a little later.

8 MS. RICHARDSON: Good morning, everyone.
9 I am Gail Richardson, Dave Specca and I will present
10 this presentation as we have co-chaired the Biomass
11 work Group together and have enjoyed the privilege

12 of speaking to you as to some of the opportunities
13 that confront New Jersey now in the area of biomass
14 to energy which we will talk about as including both
15 electrical power and fuel, so here we go.

16 Our Biomass Work Group is a wonderfully
17 diverse group. I think that this represents
18 virtually all of the sectors in the State that are
19 closely connected with the biomass arena; the
20 management of solid waste was well represented, the
21 wastewater treatment sectors, as you know,
22 biodigestion occurs in wastewater treatment plants.

23 we also have agriculture, we have had
24 wonderful participation with the agricultural
25 sector; it is very rare that you have the urban and

5

1 agricultural sectors sitting down and talking
2 about areas of common interest. This happend with
3 us.

4 The public utilities engineering firms
5 and other expertise was well represented. So we
6 feel that in tackling the important questions that
7 the Board of Public Utilities posed to us, we have
8 had a very good high level input.

9 The one area I totally forgot are the
10 State agencies, especially the Department of
11 Environmental Protection.

12 The task:The Energy Master Plan embraces
13 the State goal of producing 22.5 percent of electric
14 power from renewable energy by 2021. However, the
15 Plan notes that in the area of renewables, although
16 there has been a lot of action with solar and wind,

17 the biomass sector is really lagging.

18 The current State level incentive, these
19 are largely the RECs that are regional in scope, for
20 producing renewable electricity from biomass are
21 ineffective in really stimulating investment in
22 this arena.

23 The central question that the BPU posed to
24 us is this: what can the State do to incentivize
25 the development of biomass for energy production?

6

1 Energy in this draft Energy Master Plan
2 includes vehicle fuel for the first time, a critical
3 point.

4 And among other measures that are promoted
5 in the Plan is the encouragement of the use of clean
6 transportation fuels including a shift to natural
7 gas fuel for trucks and busses.

8 In looking at New Jersey's biomass
9 resources it is important when we think about
10 renewables to recognize how different biomass is
11 from, say, solar and wind; those are the other two
12 that really are in the commercial sector.

13 The first point to be made is the
14 tremendous diversity of feedstock. This comes from
15 a report done by the New Jersey Agricultural
16 Research Station, it is called "The Assessment of
17 Biomass Energy Potential in New Jersey," dated 2007,
18 and it is a fundamental resource for the State, one
19 that we have studied very carefully.

20 It shows that there are 5.5 million tons

21 of available biomass in the State of New Jersey
22 distributed across the sectors that are listed here.
23 We started with this and tackled the
24 diversity of the sources that we considered we would
25 recommend by way of incentivizing their use.

7

1 The second major point about biomass
2 resources is that there are so many conversion items
3 to turn them into products. The biomass assessments
4 that I just mentioned list all of these different
5 commercial and near commercial technologies.

6 For electrical power heat and vehicle fuel
7 you can use, anaerobic digestion, gasification for
8 electric heat and power direct combustion, ethanol
9 fuel, for which we have a couple of conversion
10 thchnologies listed there, in other words, this is
11 an area in which there are so many possibilities of
12 matching feedstocks with conversion technologies, so
13 many products that can be thereby developed, that
14 the challenge is somewhat different from what we see
15 in the solar and wind renewables sector.

16 So the key challenge that we found was
17 that there is very little evidence, very little on
18 the ground experience in New Jersey with these
19 various feedstocks and technolgies to give rise to
20 the kind of information and knowledge base that
21 would be needed to establish a second incentive.

22 In looking at a course of incentives that
23 would promote sustainable enrgy and clean fuel,
24 those technologies having the lowest possible
25 energy cost and no environmental or societal

1 consequences, we were confronted with the question:
2 How do you recommend incentives if you don't have
3 commercial experience in New Jersey to help you
4 figure out what it would take to bring more
5 investment into the field?

6 This explains why we moved in the
7 direction we did with our recommendations. Our
8 major recommendation is that the State should really
9 launch what we are calling a biomass to power and
10 fuels initiative in which State resources would
11 facilitate public and private partnerships to
12 build and operate biomass fuel plants in two or
13 three years are targeted; In other words, the State
14 should take a role to kind of jump-start this
15 industry.

16 We are dealing with this at a time of
17 very limited budgets, of deep concern at local and
18 state levels about covering regular costs, so as you
19 will see in a moment, we are not talking about some
20 brand-new program with major new investments; I
21 stress "new" here.

22 We will talk about where the sources will
23 come from in a moment.

24 To facilitate, once again the Energy
25 Master Plan recommends facilitating and

1 incentivizing pilot and small scale biomass energy
2 demonstrations; there are a number of incubator

3 sites already in the State, a number of research
4 sites that could be mobilized for this purpose.

5 That there be studies commissioned of key
6 economic aspects of agricultural and rural
7 feedstocks so that they can be used often
8 economically for different purposes and, therefore,
9 are not always available to be used for energy
10 production, and that studies be commissioned to
11 fill data gaps in urban and industrial feedstock
12 areas.

13 The biomass work was actually built on
14 top of and is commandeered in a wonderful way by
15 work that is being done by a work group called the
16 Renewable Natural Gas Work Group which focuses on
17 vehicle fuels and the tremendous opportunity there
18 is to transform waste into vehicle fuels as a form
19 of supplanting diesels, with all of the benefits
20 that that can bring about.

21 The Renewable Natural Gas Work Group was
22 also invited as a component leading into the Biomass
23 Work Group to comment on this.

24 Now, the Biomass Power Fuel Initiative,
25 just going through the objectives here, the aim

10

1 here would be in facilitating the rapid development
2 by private companies and public/private partnerships
3 of commercial biomass energy facilities to
4 contribute to the State's renewable energy and clean
5 fuels goals, to serve as showcases of effective
6 technologies and business models for producing power
7 and fuels from biomass, and to create the knowledge

8 they need to establish effective incentives to
9 really build this industry in New Jersey.

10 Biomass to power and fuel initiative
11 components would include the following: State
12 agencies collaboration, that there would need to be
13 very strong inter-agency collaboration in this area
14 to make use of resources that are already available
15 through the State and Fed programs. I want to
16 mention a couple: the Board of Public Utilities and
17 the Economic Development Authority have financial
18 support available for renewable energy projects, the
19 State can help in securing Federal clean renewable
20 energy grants, innovative clean energy
21 manufacturing funds exist and so do many others.

22 with careful focus and political
23 leadership, these resources could be mobilized in a
24 way that could tremendously propel the investment of
25 private sector partners.

11

1 In addition, the State agencies themselves
2 could participate as partners based on large fleets
3 of vehicles, not only in the fuel area, they also
4 purchase electricity, they also generate waste, so
5 the State agencies themselves could become
6 participants in projects that could enable private
7 sector partners to develop an economic plan.

8 Regulatory reform and speedy regulation
9 completion is a key way in which the State could
10 facilitate private investment.

11 That is what has to be done within

12 environmental requirements, there is not a way of
13 getting around those.

14 The second component would be carried out
15 by the State with State leadership, and the
16 decisions would be based on things like selection
17 criteria, number of facilities at host sites,
18 technologies, geographic distribution, weighted
19 outcome criteria to be sure that what is selected
20 for demonstration would actually be demonstrating
21 the outcomes we would be looking for and not just an
22 array of technologies that are out there but
23 technologies that can do the job economically and
24 environmentally, and in terms of energy objectives,
25 and that the feasibility of projects, that specific

12

1 State resources be taken into consideration and the
2 acceptability of a proposed project at the community
3 level.

4 One thing I forgot to mention when I was
5 looking at the biomass list there, agricultural
6 products are not really going to be a major biomass
7 resource in New Jersey in the near-term or the
8 longer-term, I should say, although the possibility
9 of doing them on State land is something that can be
10 explored, but the main resources in the biomass
11 arena in New Jersey now are residues and waste, key
12 components of it.

13 And, finally, I wanted to mention and
14 emphasize that the perspectives of the Renewal
15 Natural Gas Work Group which has its eye on the
16 potential of biomass based vehicle fuels and the

17 perspectives here are as follows, we have a group of
18 about thirty people and most of them are very active
19 and made tremendous contributions to the Biomass
20 work Group report as well, but renewable natural gas
21 along with conventional natural gas is really the
22 only alternative dual pathway that can
23 simultaneously break oil dependence, slash health
24 endangering urban air pollution, lower greenhouse
25 gas emissions and reduce fuel costs and price

13

1 volatility.

2 when this precious fuel is made from
3 biogass emissions or organic waste it is the least
4 carbon intensive fuel in the world and is recognized
5 increasingly as the fuel solution for heavy trucks
6 and busses.

7 There are a number of urban fleets in
8 Europe. There are projects going on in this
9 country, the Altamount (phonetic) land fill in
10 California, a very large one, Madison, Wisconsin
11 with both a landfill and wastewater treatment plant
12 are now building small-scale productions to fuel
13 their own local vehicles and it is emerging
14 elsewhere as well.

15 And New Jersey, this is an important
16 point, New Jersey is the home, and the Rutgers Eco
17 Complex where we are standing today has played a
18 major role in the evolution of very important
19 technology to clean up biogass and make renewable
20 natural gas.

21 One of the things you will note in our
22 report is the opportunity that New Jersey has to
23 build on this.

24 That was my part of the presentation so I
25 will ask Dave to take it from here and talk more in

14

1 detail about the findings in the specific areas of
2 biomass research.

3 Thank you.

4 MR. SPECCA: Thank you, Gail.

5 So my section will actually address some
6 of the specific questions that were provided to us
7 as part of the goal for the work Group to get back
8 with some answers on.

9 Before I start I want to thank Lee and the
10 BPU for using the Eco Complex for these hearings.
11 Originally the vision of the Eco Complex was sort of
12 as a hub for environmental and renewable energy
13 technology development, and interaction with the
14 State agencies was a key part of the vision here,
15 and it is really nice to see it becoming a reality,
16 and we really appreciate everybody who has made the
17 effort to get down here today.

18 Let's get started on specific questions.

19 Addressing first agricultural and other
20 biomass resources, two questions were directed
21 toward that. One was, what role can agriculturally
22 derived fuel play in the development of new fuel
23 sources in New Jersey?

24 And the second was, are there any
25 regulatory legislative barriers to the development

1 of this fuel source?

2 So referring again back to the 2007
3 biomass assessment that was done by the experiment
4 station, we sort of have refined some of those
5 numbers. Since 2007 there have been a lot of
6 changes in the agricultural world that may have an
7 influence on how we report those numbers today and
8 we will talk a little bit more about that as we move
9 along.

10 One of the types of products that we do
11 feel would be available for biomass, for bio-energy
12 projects, whether it's electricity or fuel, would be
13 crop residues because crop residues can potentially
14 be an additional income source for the farmers.
15 However, some of those residues have alternative
16 uses.

17 We don't list specific crops, things like
18 corn and soybeans and so forth. Part of the reason
19 for that is that they already have very good
20 economic uses that place their value higher than
21 what would be affordable for use as an energy crop.
22 We will talk about that a little bit more as we go
23 along.

24 In addition to the crop residues,
25 livestock manures is also potentially a good source

1 for bio-energy in this State.

2 Forest residues, this quantity that is

3 listed for forest residues is somewhat lower than
4 was listed in the original 2007 study. Among some of
5 the discussion within our work Group was how much of
6 that forest residue is really available, given some
7 of the restrictions in places like the Pinelands
8 and Highlands and some of the other residues that
9 would be available as part of either forestry
10 activity or food processing.

11 Here are some of the findings: Crops
12 produced on New Jersey farms have a much higher
13 value for food and feed than as a bio-energy
14 feedstock. Don't necessarily feel bad for the
15 farmer that he can't sell the crop for bio-energy,
16 if he is actually getting six dollars a bushel for
17 corn or thirteen dollars a bushel for soybeans he
18 has got a much higher value outlet for his crops and
19 the fact that he can't specifically use it for
20 bio-energy production perhaps is a good thing as it
21 is being used for further higher value purposes.

22 However, the crop residue that is left,
23 whether that is corn stover, wheat and rye straw,
24 were some of the main things we looked at, some of
25 those things could be available.

17

1 Pricing may be close to a point where they
2 could either go as animal bedding, used for
3 incorporation back into the soil, to return
4 nutrients back into the soil and improve organic
5 matter and tilt of the soil.

6 So the farmer would have to trade off some
7 of these different alternative uses for crop

8 residues, but one of those could be for use as a
9 bio-energy production.

10 Farmers don't usually pay for disposal of
11 organic waste. One of the exceptions to that might
12 be some of the horse farms where they don't have
13 adequate acreage on their farm to land apply manure
14 in those farms where they are paying to dispose of
15 their waste.

16 But in most cases in the dairy farms, of
17 which there are a few left, or with the steers and
18 chicken farms, they usually have enough acreage
19 around the farm to land apply it, so if you are
20 building a bio-energy plant and you are going to
21 assume that farmers are going to pay you to bring
22 their dairy manure to your facility, you probably
23 need to look at that a little bit closer.

24 Other incentives such as returning
25 fertilizer and organic matter to the farm for

18

1 bio-energy plants may overcome those barriers.
2 There may be some type of arrangements made where
3 the digestate, which is rich in nutrients and
4 organic matter, could be returned to the farm, and
5 that in a way kind of eliminates some of the
6 decisions the farmer has early on, whether he keeps
7 a crop on the farm to get the organic matter and
8 nutrients back in, or whether to give it to the
9 bio-energy facility and then get the nutrients
10 returned to him just the same as he would have in
11 the first place.

12 Other things that we looked at in our
13 discussions were some of the State lands that are
14 available. There are nearly two million acres of
15 State owned or managed land, and there is a large
16 opportunity, even if look at only a small portion of
17 that land, to produce sustainable bio-energy crops.

18 In addition to producing bio-energy crops
19 it would also be a benefit to the State in the
20 reduction in that maintenance cost for that State
21 land.

22 Recommendations for farm and rural
23 production or bio-energy production: One is that we
24 need to conduct a study to determine the economic
25 availability of these crop residuals and animal

19

1 manures. This would probably be a study that does
2 a specific analysis on pricing at zero dollars, how
3 much would be available at twenty dollars a ton and
4 so forth, so that some of our bio-energy projects
5 can get a more realistic sense of what is really
6 out there.

7 Investigate business models that will help
8 to bring together ag and rural biomass into energy
9 projects, and this is looking at perhaps developing
10 cooperatives or some other limited liability
11 corporations; a lot of the amount of biomass that
12 would be needed for a project probably wouldn't be
13 sourced at an individual farm or rural business, but
14 as a collective cooperative of farmers perhaps
15 that's doable.

16 Conduct a study to assess the energy

17 potential of sustainable forest residues. even
18 though we discussed some of this in our work Group
19 we feel that there is a much more thorough, perhaps
20 more scientific analysis that needs to be done to
21 really find out what could realistically be
22 available given some of the restrictions on access
23 to some of the forestry.

24 Potentially it could be a very big number
25 if there was a fairly high level of access to the

20

1 forsted lands, and we are talking about the forest
2 residues in this case, we are not talking about
3 going in and clear-cutting areas, but really it
4 would be material that comes from thinning some of
5 the weedy materials from the forest or what is left
6 over after it has been logged perhaps, so that
7 needs to be done.

8 we also need to determine the availability
9 of State owned and influenced lands for biomass
10 production, to quantify how much of those are
11 wetlands, what is uplands, what is too hilly perhaps
12 for biomass production and what is a realistic
13 number that we can work with.

14 And also to develop a framework for
15 farmers to be able to grow and harvest bio-energy
16 crops from State owned and influenced lands we also
17 feel is important, that some structure, some lease
18 agreement that a farmer could build a business
19 around perhaps or feel comfortable with investing in
20 equipment to do so is important as well as from a

21 State perspective of not opening themselves up to a
22 situation that they wouldn't be happy with.

23 Moving on to other big sources of biomass
24 in New Jersey, of course, urban biomass, as you saw
25 in the graph that Gail had put up earlier, urban

21

1 biomass is potentially a huge source of biomass for
2 New Jersey.

3 Here is a list of some of those sources.
4 You can see even on the top one with yard waste,
5 the net usable dry tons in 2010, that number of nine
6 hundred thousand dry tons is higher than the total
7 amount of ag and rural biomass that we estimated
8 before, that was only seven hundred, so even just
9 one category within this group is a big number.

10 Yard waste represents only twenty-three
11 percent of the urban biomass. The biggest one by
12 far is our solid waste which is currently being
13 landfilled. There is a huge portion of the waste
14 that goes into a landfill that's organic in nature,
15 with the appropriate technology we could possibly
16 convert it to bio-energy in some form, and these
17 numbers are trying to capture and divide that up
18 between the different types, human waste itself,
19 recognizing that they would probably be different
20 technologies.

21 In the recycled materials, there is food
22 waste, wood scraps, which also are recycled at this
23 point, and then there is this category of magazines
24 and junk mail, and at a lot of recycling centers
25 that is often the lowest grade paper that they

1 recycle. It potentially could be used to produce
2 bio-energy as well.

3 waste oil is a pretty small portion of
4 this category but it is certainly worth mentioning
5 because waste oil has a very high energy content per
6 pound, it is well over thirteen thousand or higher
7 BTUs per pound versus things like organic matter
8 from wood and crop residues, around eight thousand;
9 especially in the anaerobic digester, adding a
10 little bit of this waste oil seems to really do a
11 lot to improve the methane production.

12 Then we have the waste biogas emissions
13 currently being collected at our landfills and
14 wastewater treatment plants.

15 Here are some of the findings: Existing
16 landfills and wastewater treatment plants can play a
17 key role as locations for new clean bio-energy
18 technologies.

19 Even though it wasn't really spelled out
20 specifically in our report, we also add to this list
21 the transfer stations where waste is being brought
22 in, in some cases it is being sorted and
23 transported out-of-state, and also our waste energy
24 facilities, the incinerators in the State could also
25 be key areas where some of this consolidation,

1 perhaps separation in transformation into bio-energy
2 would be important.

3 There is a lot of the infrastructure in
4 place, we already have the highways and the railways
5 needed to move materials in and out, they are
6 already hopefully separated from highly urbanized
7 areas so if there are some odors produced or noise
8 it is not a big an issue.

9 So that's one of the recommendations or
10 findings we have relating to urban biomass. The
11 amount of bio-energy produced by landfill gas could
12 be much greater, and recognizing that landfill gas
13 right now is the largest source of bio-energy in
14 the State, there is even more available if we manage
15 it properly.

16 One of the ways to do that is to recover
17 waste heat from the generators at the landfills.
18 There is only only one landfill right now in
19 Middlesex County where they utilize the waste heat.
20 All the other projects as far as we are aware of do
21 not recover waste energy.

22 A typical generating station at a landfill
23 converts somewhere in the neighborhood of thirty
24 percent of the energy into the facility as
25 electricity. If you were to recover waste heat, the

24

1 percent of energy recovered could be as high as
2 sixty-five or seventy percent, depending on the
3 match of the waste heat recovered.

4 Also with landfill gas, there is a lot of
5 municipal solid waste currently beaing hauled out of
6 the State. There is a potential, perhaps, if we are
7 looking at transportation fuel, that some of that is

8 produced into, if it produces landfill gas at
9 out-of-state landfills it could be converted to
10 transportation fuel that will actually be used for
11 the trucks that haul this waste in and out of the
12 State, so that is a good way to potentially get
13 some bio-energy from that.

14 Landfills as they exist now can do more to
15 improve the gas recovery within the landfill and
16 then have more fuel available for electricity or
17 transportation fuels.

18 Yard waste is another opportunity,
19 feedstock, given that it is already being collected
20 and consolidated, and there are very few other uses
21 for it, most of the time it is things as simple as
22 mulch, and the town will give it back out to the
23 residents of the town as the best way to get it off
24 the work-site once they mulch it, and a lot of times
25 they have difficulty even getting the mulches that

25

1 they have converted it, the organic waste to mulch,
2 getting rid of it from the site.

3 Recommendations for urban biomass: We
4 would like to see that the DEP food waste study be
5 expedited because of the large amounts of food waste
6 that are available in the State. Food waste in New
7 Jersey could be an opportunity for feedstock, by
8 that we mean feedstock that right now is available,
9 the economics look really good, the technologies to
10 do the conversion have been proven elsewhere and it
11 is really important that these demonstration

12 projects that we talked about get started, but that
13 food waste is really what we see as an opportunity
14 to feedstock.

15 we also need to do an inventory of
16 industrial organic waste as a potential source of
17 biomass feedstock. This was really brought home to
18 me just a couple of weeks ago on a tour out in
19 wisconsin at an anaerobic digester that was in a
20 wastewater treatment plant as well as another that
21 was three dairy farmers bringing their manure into
22 one anaerobic digester, they were bringing in this
23 high BOD(phonetic) organic liquid such as waste
24 from off-spec (phonetic) soda from a bottling plant
25 and also some off-spec beer, and when they put that

26

1 in the digester they almost saw an immediate spike
2 in the amount of methane produced, they said it was
3 like giving them a Mars bar, all of a sudden they
4 are getting all this energy and they are producing
5 methane like crazy, so that's also a real
6 opportunity as to feedstock we think as well.

7 we also were given a question about waste
8 to energy in the REC designation. As you are
9 probably aware, there are Class I and Class II RECs
10 for bio-energy, and so the question was, does the
11 Biomass work Group support pursuing changing the
12 classification from waste to energy from Class II to
13 Class I resource, this waste to energy would refer
14 to the incinerators, and if so do you have specific
15 recommendations regarding how this should be done?

16 so what the Committee pretty much has

17 decided, and this was actually discussed at length
18 and considered at length, was that based on
19 consideration of the economics of the conventional
20 REC value right now and a recent history on the
21 legislative level, the Biomass work Group found
22 that an effort to modify the waste energy REC at
23 this point in time would be ill-advised and it does
24 not recommend it, and for a couple of reasons here.

25 Class I definition for this sector

27

1 wouldn't make any difference in view of the current
2 value of the RECs, still below ten dollars per
3 megawatt hour, and it's still not much different
4 than what Class II RECs we.

5 There appears to be little chance of
6 changing the state level policy position to retain
7 waste to energy as a Class II resource and there is
8 value in exploring a market-based approach in the
9 future and perhaps creating a bio-REC is one of the
10 recommendations we thought might help.

11 And that's pretty much the focus of my
12 report.

13 MS. RICHARDSON: Could I make a comment?

14 I neglected to say something that is
15 crucially important if the biomass to power and
16 fuels initiative becomes part of the Energy Master
17 Plan, and that is that there will be project
18 opportunities all across the State, and that it will
19 be very important that there are active outreach and
20 community education programs so that people can

21 recognize in their local landfills and wastewater
22 treatment plants, possibly in transfer stations,
23 free-standing digester opportunities that are
24 located near organic waste sources, that these
25 opportunities be identified and understood as ones

28

1 that could be acted on under such an initiative, so
2 that is a key element in this as we go forward with
3 this.

4 PRESIDENT SOLOMON: Are there any
5 questions?

6 Commissioner Fiordaliso?

7 COMMISSIONER FIORDALISO: Thank you very
8 much for such an in-depth analysis and report, It is
9 really helpful to me.

10 In your investigation have you found
11 regions of the United States where biomass is much
12 more in use than possibly here in the Northeast?

13 MS. RICHARDSON: Biomass is an emerging
14 industry across the U.S. I think the direct
15 response, the most enlightening response, is that
16 people are waking up right now, our base is
17 relatively low, but there are projects.

18 For example, the U.S dairy industry is
19 anticipating building something like thirteen
20 hundred dairy digesters in a project down in
21 Wisconsin that makes vehicle fuels, they have
22 seventy-nine contracts that they are working on now.

23 An anaerobic digester as to electricity
24 and power and fuels area from Ohio has forty
25 projects underway, so I think the answer is really

1 this is really the opportunity for New Jersey to
2 stand up and play a leadership role in this arena.

3 There are enough examples out there that
4 show that it can be done and be done quickly, and
5 New Jersey has a special opportunity to move into
6 this area.

7 MR. SPECCA: I would add that even as we
8 look outside of the U.S, there are a number of
9 countries in Europe, Sweden, Germany, Austria, that
10 have a very large bio-energy program.

11 Part of their reason is that they want to
12 reduce their reliance on natural gas coming out of
13 Russia, and there are other issues with the cost of
14 energy in those countries, so over time, over a
15 number of years they have developed some very
16 practical bio-energy technologies.

17 It is hard to transfer to the U.S.
18 sometimes because the economic situations are is
19 different, the technologies and feedstock might be
20 built and used here a little bit differently, but
21 there are certainly places we can for examples.

22 MS. RICHARDSON: Let's make one more point,
23 that there are pioneers right here in New Jersey
24 although the plants are not up and running that I
25 could mentiion, but I think I won't mention because

1 I think these things are best publicized by the
2 people who are doing them.

3 But there are a couple of anaerobic
4 digesters that are already in the works in New
5 Jersey. There is a potential for both fuels and
6 electrical power markets from those, so New Jersey
7 is already on this path and can strengthen it.

8 MR. MILLER: Lance Miller.

9 Dave, on your last point on the inventory
10 of organic industrial organic waste, could you also
11 identify any potential barriers from classification
12 of those wastes at the State or Federal level that
13 might need to be addressed to allow those industrial
14 wastes to go into anaeroboc digesters or energy
15 fuels--energy technologies?

16 MR. SPECCA: I think not only the
17 industrial waste but even some of the ag waste or
18 urban waste going to an agricultural environment,
19 in some cases there seems to be this classification
20 issue where it would end up requiring so much
21 additional regulatory hurdles that it makes it
22 uneconomical, so it is important to identify those.

23 MR. MILLER: And possibly get them
24 directed?

25 MR. SPECCA: Exactly, righr.

31

1 PRESIDENT SOLOMON: Ma'am, make sure you
2 introduce yourself for the record.

3 MS. UNDERWOOD: I am Joanna Underwood, I am
4 President of Energy Visions.

5 I just wanted to note the reason that we
6 as a national environmental group wanted to create a
7 work group in this state to tackle this issue is

8 because it is the densest population of any state
9 and has a huge overwhelming waste burden, so the
10 opportunity here is enormous.

11 Just looking at the eleven landfills,
12 there is the model project, which is the Altamont
13 landfill project in California in the Bay Area,
14 where they are collecting and refining gases that
15 are powering almost four hundred refuse trucks
16 serving twenty-two communities.

17 So the example that this is a very viable
18 thing to do makes for Jersey in picking this up a
19 tremendous opportunity, and I just want to also
20 thank the BPU for inviting us to be involved in this
21 decision-making.

22 I don't think we should underestimate with
23 all those points here the importance of the
24 leadership role that you play in talking about this
25 and its importance to the State in making it happen.

32

1 PRESIDENT SOLOMON: Thank you.

2 Anybody else?

3 COMMISSIONER ASSELTA: There is no mention
4 in your report whether the Department of
5 Environmental Protection will be a partner an
6 inhibitor in that and I think Mr. Miller was
7 alluding to that fact, his question didn't touch it,
8 but I'm going to touch it, the DEP, the EPA--

9 MS. RICHARDSON: Essential players in the
10 biomass to power and fuels initiative along with the
11 Department of Agriculture, the universities, the

12 Department of Transportation, there is a whole list
13 of agencies in this full report, absolutely have to
14 be involved.

15 PRESIDENT SOLOMON: Yes, sir?

16 A GENTLEMAN: Greg (inaudible) with the
17 Atlantic County Sewage Authority.

18 we have been working significantly to get
19 a waste energy project up and going at a landfill,
20 we are working with NRG Energy so we really have
21 that synergy of a public/private partnership going.

22 And we got pretty significant public
23 buy-in's from the community and we began to see some
24 permitting hurdles, a thousand miles for an RND for
25 a small project, we had all the recommendations, we

33

1 even got solid waste permits, but we really kind of
2 got jammed up there with permitting in the end.

3 And as mentioned, to what extent is the
4 BPU going to help facilitate or solve these
5 problems. With the RND permit we expected we would
6 get some good faith permitting process, so really
7 it seems like there was a disconnect there.

8 For stationary sources in generating
9 power there are definitely some hurdles but when it
10 comes to transportation fuel it is sort of not
11 looked at. We are still combusting, whether it's in
12 a vehicle moving or stationary source, so there
13 are some discrepancies there and I think those ought
14 to be addressed.

15 We are trying to replace a landfill.
16 Everyone knows we can't keep on landfilling, but we

17 continue to stick our head in the sand, we are
18 trying to get beyond that but I don't see us as a
19 State taking a role in stopping landfilling.
20 Obviously incineration is not a good thing, but
21 there has to be something else besides landfilling.

22 The State should take a lead to get
23 people to stop landfilling, but we are not doing
24 that right now,.

25 MS. RICHARDSON: That's a lot of questions

34

1 you posed, but one of the key points about the bio
2 to power and fuels initiative is that one of the key
3 elements that the State could bring to the table
4 would be help in the regulatory process, to speed
5 it up. We have heard companies say that we can
6 operate fine on day one and fifteen months later
7 they are gone, so if the regulatory process takes
8 that long they can lose that entire project, so we
9 are very much aware of that as a key element in this
10 initiative.

11 I'd like to say one word about landfills:
12 Yes, people would like to use organics and all of
13 the other materials as the best possible way and the
14 most efficient and benign way we can come up with.

15 One way of looking at landfills is that if
16 it is demonstrated that organic products, even if
17 they end up in landfills, are actually energy
18 assets, the competition for those assets is
19 stimulated. The effort to make a more efficient
20 plant that don't have organic waste mixed up with

21 metals and paper cups and so on is also promoted.

22 Another issue is that the landfill gases
23 can themselves be much more effectively trapped, so
24 that some of the major environmental concerns could
25 be separately addressed, but over time it seems to

35

1 me, Europe now has a ban on landfills and the
2 Unites States is definitely moving, municipalities
3 across California have organic waste recycling,
4 there are lots of public/private initiatives.

5 we have the food innovation center here at
6 Rutgers which has been active in that area.
7 Priscilla Hayes is a leader here, for ten years she
8 has worked with people across the State, so I think
9 New Jersey is well educated about that, but unless
10 we get a regulation with teeth in it, like a
11 landfill ban, we are not going to have a major shift
12 certainly in the near-term as to landfills, but it
13 is certainly a long-term goal.

14 MS. UNDERWOOD: A landfill ban is one way
15 to generate action. Another way is tax and economic
16 incentives of one sort or another, that really
17 encourages having this happen, and isn't that a more
18 likely path than a ban here, or what do you foresee?

19 MS. RICHARDSON: There are different
20 waste streams, some of them are pure and easy to
21 capture like beverages that are thrown out, so you
22 go and pick them up in a tank and take them
23 somewhere.

24 Similarly in a tomato processing factory,
25 somewhere where you get a nice clean stream of

1 waste.

2 And incentives are probably more likely to
3 work in areas where you can easily capture those
4 waste streams to get them out of landfills and into
5 projects like composting or digestion.

6 where you have the mixed solid waste
7 streams if it goes to a landfill you would have to
8 institute very rigorous, provide incentives for very
9 rigorous separation of household garbage and the
10 other things that get thrown into the garbage can.

11 This is not yet demonstrated in the United
12 States, that we have very good models there, and
13 even in Europe they have an enormous amount of
14 contamination among the organics, so that to me is
15 an issue, JoAnna, that is, the slow pace, the cost
16 of it will become unlikely to be sufficiently an
17 incentive and the difficulty of doing it is likely
18 to be a hurdle for some significant time.

19 So a lot of these things will end up in
20 landfills.

21 MR. SPECCA: I would add as well that with
22 the State's sensitivity to adding to the cost of
23 electricity or bio-energy or any type of energy, for
24 that matter, any incentives that would require
25 additional revenue being generated from somewhere

1 that goes toward that incentive is probably not
2 going to be very well accepted at the State level

3 for a while, whereas the directives, in Europe they
4 made a directive, over a period of time organic
5 waste will no longer be allowed in landfills, that
6 in itself sort of spurred on an industry with
7 composting and anaerobic digestion, so it will
8 probably take a combination of the two.

9 MS. RICHARDSON: New Jersey could usefully
10 look at some of the local incentives that are in
11 place, in Connecticut where if you live within a
12 certain distance of the composter and a generator of
13 organic waste you must take it to the composter.

14 I am not sure if that is an outright
15 mandate, but it is a type of action that would
16 capture some of these concentrated wastes to make
17 sure that they don't go to landfills if there is a
18 facility for composting it or anaerobic digester,
19 that they go there.

20 A GENTLEMAN: Regarding the direction of
21 waste to go to certain facilities, that's all very
22 good but I think that there are still ways around
23 that.

24 MS. RICHARDSON: One of the exciting things
25 about a biomass to power fuels initiative is that

38

1 you get a lot of smart people in the State working
2 on putting up things with State support and precisely
3 that kind of observation in a refined way would come
4 out.

5 MS. HAYES: Priscilla Hayes, the former
6 Director of the Solid Waste Resources at Rutgers
7 and now it is consultant and sustainability

8 Director.

9 One of the recommendations that was
10 mentioned here a little bit is a better report on
11 how much food waste we do have in the State, because
12 I was part of the team that did the 2007 study and
13 what we found was that, you know, we would end up
14 with, like Essex County was a good example, they
15 were recycling almost more food waste than we
16 calculated that they had, and that was because of
17 something like Anheiser-Busch which was recycling
18 all sorts of tons of food waste, and that was just
19 one example, you know.

20 There is a very strong possibility that
21 there is way more food waste than that report
22 represented because we are such a food dense state
23 and we have all sorts of things, and that's
24 something we need to look at much more closely just
25 so we can really get a sense of how much of that can

39

1 be captured.

2 The other thing is that there are
3 municipalities that have begun to move toward
4 incentivizing getting the food waste out of the
5 waste streams, and Princeton is probably the most
6 active on that, but we are hoping that as things
7 move along that the municipalities will feel more
8 comfortable about starting to do things that we have
9 seen in other parts of the country like San
10 Francisco or other places.

11 It is just much better to keep the food

12 waste not mixed up with the Drains or the paper cups
13 or the steel or all of the other things we send to
14 landfills and use it as the resource that it is.

15 PRESIDENT SOLOMON: Anyone else?

16 MR. ALBRECHT: Ray Albrecht.

17 PRESIDENT SOLOMON: You are on the list
18 to speak up front. Do you want to do that now?

19 MR. ALBRECHT: I am an engineer but I am
20 also an organic gardener. We do our organic waste
21 right up at the kitchen counter. It is real easy,
22 It doesn't require any technology other than a
23 plastic or stainless steel container to hold that
24 stuff before you bring it to the compost pile.

25 It would seem that this is really not a

40

1 technology revolution but, rather, a culture change.

2 MS. RICHARDSON: I just talked to
3 California Recycle, and you are absolutely right,
4 it seems like the simplest thing in the world, but
5 when you actually pick up those green recycle
6 barrels in the street, according to California you
7 get everything from lawnmower parts to used tires,
8 so that's the issue, consistency of implementation.

9 MR. CALCANIO (phonetic): Frank Calcanio.

10 In Europe you are beginning to see the
11 use of autoplating as a means of taking MSW and
12 other waste streams to make biomass, and in those
13 situations you don't have to worry about separating
14 the foods from the other recyclables and you get a
15 biomass product at the end that you can use as fuel.

16 Have you addressed any of that in your

17 studies or reports?

18 MS. RICHARDSON: That particular
19 technology, you mean? We didn't address it
20 specifically but we would invite --

21 MR. SPECCA: Not only autoplating, but
22 there are a number technologies that are developed
23 or are under development that are, they call it an
24 enabling technology where they actually are
25 separating waste or cleaning landfill gas and are

41

1 enabled to use that biomass for energy production,
2 and I think it is an area where there are a lot of
3 opportunities especially in New Jersey where there
4 is a lot of need for waste separation and
5 autoplating is perhaps one of those.

6 PRESIDENT SOLOMON: Anyone else?
7 We are done.

8 PRESIDENT SOLOMON: David and Gail, thank
9 you very much, the document is well done. I am sure
10 that out of the questions we have had today there
11 may be some others to come.

12 Michael Smith, CEG Power and Gas?

13 MR. SMITH: Good morning, Ladies that
14 Gentlemen, members of the Board.

15 My name is Michael Smith and I am the CEO
16 of CEG Power and Gas of Mays Landing, New Jersey, a
17 sustainable biomass company.

18 I am also the owner of Mother Earth
19 Energy, a 3.5 million gallon a year biodiesel plant
20 that began operation in early 2009.

21 Our work with lipid oil crops such as
22 canola, switch grass, soy bean and algae has given
23 us a unique perspective into the state of the
24 biomass industry

25 The main challenge faced by biodiesel

42

1 manufacturers is essentially the same challenge
2 faced by sustainable biomass companies: where does
3 your feedstock come from?

4 This question led us to look into
5 alternate feedstocks very early in the game. We
6 took a look at all kinds of options from algal
7 strains to genetically modified grasses.

8 What we learned was that most of these
9 options, while promising, have yet to realize their
10 full potential. That was until we considered a
11 small native aquatic plant called duckweed.

12 Duckweed is a free-floating aquatic plant
13 found with world-wide distribution. Renowned for
14 being the world's smallest flowering plant, duckweed
15 reproduces both sexually via flowering and asexually
16 via budding, leading to tremendous growth rates.

17 During the growing season it is common to
18 see communal duckweeds growing in undisturbed pools
19 of water throughout the continental United States.

20 It's very likely that the average American
21 passes by vast communities of these plants every day
22 without giving them a second thought.

23 However, this tiny aquatic plant has the
24 immediate potential to answer our nation's call for
25 an American made cost-effective renewable energy

1 source

2 Duckweed is a fantastic candidate for a
3 sustainable biomass, it grows so rapidly it can
4 double its body-weight under ideal conditions every
5 twenty-four hours. It has five to six times as much
6 starch as corn and does not contribute to global
7 warming.

8 Duckweed is considered a carbon neutral
9 energy source because unlike most fuels it actually
10 removes carbon dioxide from the atmosphere.

11 Duckweed also functions as a
12 bio-remediator by effectively filtering contaminants
13 such as bacteria, nitrogen, phosphates and other
14 nutrients from naturally occurring bodies of water
15 as well as waste and grey water streams.

16 Several years ago the Waksman Institute of
17 Microbiology of Rutgers was one of the first U.S.
18 academic institutions to recognize the potential of
19 duckweed as a bio-energy source. The Waksman
20 Institute applied to the Department of Energy to
21 fund the DNA sequencing of the duckweed genome to
22 determine the order in which the DNA bases were
23 arranged in certain duckweed species.

24 It is believed that the genome of duckweed
25 will provide invaluable fundamental information for

1 further energy technology development

2 The Waksman Institute has been a valuable

3 resource for us and our continued collaboration with
4 the Institute has led to major breakthroughs in our
5 sustainable biomass technology.

6 Over the past three years we have
7 developed methods to grow the plant vertically
8 utilizing the cutting-edge of aqua-ponic science.

9 we grow our duckweed in modern greenhouses
10 and using advanced harvesting strategies we are able
11 to literally farm duckweed on a daily basis on-site.
12 This allows us to utilize our patented technology to
13 transform the biomass into useable forms of energy.

14 Our patented gasifier technology creates a
15 methane rich biogas that can be used to run
16 conventional generators or use heat from our
17 gasifier to turn steam turbines.

18 This allows us to have two wholly complete
19 and separate products, a "No Drill" low impact
20 natural gas equivalent as well as a virtually no
21 emission clean electricity production system.

22 Our process of returning the CO2 rich
23 exhaust streams back to the greenhouse feed the
24 next generation of duckweed; thus, creating true
25 clean carbon neutral energy.

□

45

1 And unlike solar or wind, our power
2 generation is dispatchable, meaning we are not
3 waiting for the wind to blow or the sun to shine. We
4 produce power on demand. This allows for more steady
5 power distribution into the existing grid without
6 taxing the system.

7 Our technology is not pie-in-the-sky. It

8 is really right now, right here in New Jersey. We
9 have already constructed a 45 kilowatt pilot scale
10 plant at our research facility in Mays Landing, New
11 Jersey, where we farm our biomass directly on-site
12 and convert it to useable energy.

13 We have accomplished this without one
14 nickel of public funding and we invite today's
15 attendees to see a sustainable biomass plant in
16 action.

17 We have made great strides in our Mays
18 Landing facility. Our successes at the pilot plant
19 level have garnered the attention of major banks,
20 financiers and industry experts.

21 And as such, we are slated to begin
22 construction of a 30 megawatt power plant facility
23 in Millville, New Jersey, early next year that will
24 also produce a "No Drill" natural gas equivalent for
25 the gas pipeline. The first of its kind in the

46

1 country, this facility will create dozens of
2 well-paying fulltime jobs at all skill levels and
3 deliver clean green energy to the local community.

4 New Jersey has shown its strong commitment
5 to renewable energy. In April 2006 the New Jersey
6 Board of Public Utilities approxed an expanded
7 Renewable Portfolio Standard (RPS) which calls for
8 20 percent Class I renewables by 2020. This
9 program has been extremely effective in improving
10 New Jersey's air quality and has made us a leader in
11 green technology.

12 The total reductions in carbon dioxide
13 emissions resulting from New Jersey's Clean Energy
14 Program in 2009 alone is the equivalent of taking
15 ninety-five thousand cars off the road for an entire
16 year.

17 These emission reductions reduce our
18 state's contribution to greenhouse gases, smog and
19 acid rain. Thus, the public receives substantial
20 environmental and public health benefits from
21 programs that also lower energy bills and benefit
22 the economy.

23 Through its rebate and SREC credit
24 programs New Jersey leads the nation in solar
25 energy. We would like to see New Jersey lead the

47

1 way for emerging technologies in sustainable biomass
2 as well.

3 The State currently supports the SREC
4 program or Solar Renewable Energy Certificates
5 program for producers of solar energy. Ostensibly
6 this program was put into place to assuage the
7 substantial cost of building and operating renewable
8 energy facilities and incentivize the companies that
9 build them.

10 We feel very strongly that sustainable
11 biomass should be afforded the same SREC distinction
12 because when you get right down to it, we are a
13 solar installation. The plants absorb the sun's
14 radiation and convert it into sustainable biomass
15 which is processed into energy much in the same way
16 that the photovoltaic cells transform the sun's

17 radiation into electricity.

18 It is my opinion that our energy
19 processes deserve the same benefits that solar-based
20 installations enjoy.

21 Our clean, carbon-neutral processes neatly
22 fit into the State of New Jersey's new Energy Master
23 Plan.

24 In summary: sustainable biomass
25 technology is available now and right here in New

48

1 Jersey, spearheaded by a New Jersey company.

2 The emerging technology will create
3 dozens of fulltime jobs at all skill levels for each
4 installation.

5 Our carbon neutral approach will foster a
6 better environment and increase the air quality and
7 have positive health benefits for New Jerseyans by
8 displacing dirty antiquated technologies such as
9 coal.

10 Our continued partnership with Rutgers
11 and the Waksman Institute will further emerging
12 technologies for sustainable biomass.

13 And lastly, we believe very firmly that
14 sustainable biomass companies should be afforded the
15 same SREC distinction that solar companies enjoy and
16 for the very same reasons.

17 New Jersey is America's solar leader, and
18 with your help it will be the leader in the next
19 generation of green energy, sustainable biomass
20 technologies.

21
22
23
24
25

Thank you for your time.

I would be happy to field any questions that you may have and also a reminder that you are all welcome to tour our facility in Mays Landing for a closer look. I have our contact info handy for

49

1 anyone interested after the work Group.

2 Any questions?.

3 PRESIDENT SOLOMON: Any questions for
4 Mr. Smith?

5 MS. RICHARDSON: What do you think about
6 the biomass power into initiative ideas, is that
7 something that you would find helpful?

8 MR. SMITH: I think it is a fabulous idea.
9 when you get right down to it, especially when you
10 are talking about displacing liquid fuel for
11 natural gas, there is a lot to it, it's a very
12 complicated question, but making that shift when you
13 get down to energy independence, that's at the core
14 of the issue.

15 MS. RICHARDSON So you think that would
16 be a helpful contribution?

17 Mr. SMITH: I do.

18 MR. MARSHALL: Bob Marshall, New Jersey
19 Energy Coalition.

20 Do you have an arrangement for the
21 off-take of this electricity at this time?

22 MR. SMITH: we do. Clean Energy Fuels,
23 which is a company owned by T. Bone Pickens, they
24 are set to take our natural gas. Right now it looks
25 like it will be headed to North Jersey.

1 Our power is going to be bought by Next
2 Air Energy, which I believe is a Duke Energy
3 Company.

4 Anyone else?

5 (No response.)

6 PRESIDENT SOLOMON: Thank you very much
7 sir.

8 Mike Van Brunt, Covanta Energy?

9 MR. VAN BRUNT: Thank you very much.

10 My name is Michael Van Brunt, I work with
11 Covanta Energy as a Director in our Sustainability
12 Department.

13 Thank you for the opportunity to comment
14 on the Biomass Work Group's recommendations for the
15 Energy Master Plan.

16 Covanta Energy is a leading international
17 owner, operator and developer of waste energy
18 facilities. We also operate other renewable energy
19 facilities, including landfill gas to energy as
20 well as biomass to energy facilities.

21 Waste Energy has proven technology that
22 converts MSW remaining after recycling into base
23 load steam and/or electricity. There are currently
24 eighty-six such facilities operating in the United
25 States, including five in New Jersey, and there are

1 over four hundred facilities operating in the
2 European Union.

3 Covanta Energy is headquartered in
4 Morristown New Jersey and has three such facilities
5 in New Jersey including ones in Essex County, Union
6 County and Warren County which generate together
7 over 120 megawatts of power.

8 We respectfully disagree with the work
9 Group's recommendations against change in the
10 classification of waste energy from a Class II to a
11 Class I resource. We believe recognizing waste
12 energy as a Class I resource will provide a strong
13 policy signal to encourage the better use of a
14 vastly underused resource that we saw on the slides
15 this morning, New Jersey's municipal solid waste.

16 As noted by the draft Energy Plan, only
17 17 percent of the State's MSW is converted into
18 energy, and even providing for a statewide MSW
19 recycling rate at 50 percent new energy recovery
20 facilities could generate 1.3 million megawatt hours
21 of net electrical energy to the grid.

22 Including waste energy as a Tier I
23 resource will also resolve the current disparity
24 between landfill gas energy, a Tier I resource, and
25 technologies that generate electricity prior to

52

1 landfilling currently in Tier II.

2 Waste energy technology offers significant
3 greenhouse gas and energy benefits over landfill gas
4 energy that can be recognized by their inclusion as
5 a Tier I resource.

6 In terms of greenhouse gases, each ton of
7 waste processed at a waste energy facility leads to

8 the reduction of a ton of carbon dioxide equivalent
9 greenhouse gas emission relative to landfilling
10 based on national averages including landfill gas
11 captured at landfills.

12 This is predominantly due to the
13 prevention of landfill methane, a greenhouse gas 25
14 times as strong as CO2.

15 Concurrently, waste energy facilities
16 recover ferrous and non-ferrous metals through
17 cycling and supply and supply a baseload of
18 renewable energy to the grid, offsetting the cost of
19 fuel generation.

20 Furthermore, waste energy generates an
21 order of magnitude more electricity than landfill
22 gas energy per ton of post recycled waste.

23 New Jersey can be in good company in
24 recognizing the energy potential and greenhouse gas
25 benefits of post recycled MSW, the State of

53

1 Maryland recently passed legislation that recognizes
2 waste energy as a Tier I renewable energy source.

3 Waste energy is defined as renewable in
4 twenty-six states including the State of New Jersey
5 and also by the Federal government.

6 The European Union has standard recycling
7 recovery driven predominantly by landfill directives
8 that were discussed this morning which limits the
9 use of landfills and they have achieved reductions
10 in waste sector greenhouse gas emissions by 34
11 percent, and that's the highest reduction of any

12 any sector in the EU economy.
13 waste energy facilities in developing
14 countries have been approved to generate carbon
15 off-site credits for two years and the world
16 Economic Forum in its 2009 Davos report identifies
17 waste energy as one of eight technologies likely to
18 make a significant contribution to a future low
19 carbon energy system.

20 As an economic driver, the construction of
21 one 50 megawatt waste energy facility could create
22 nearly one billion dollars of economic activity,
23 create approximately eight hundred direct and
24 secondary jobs a year during a three year
25 construction period.

54

1 There are approximately fifty permanent
2 high paying jobs necessary to operate one facility.
3 waste energy can help New Jersey produce baseload
4 renewable energy near the source of consumption,
5 create high paying jobs, all while reducing
6 greenhouse gas emissions.

7 We look forward to working both with the
8 BPU and the Biomass Work Group so we can better use
9 the biomass resources in the State New Jersey to
10 reduce greenhouse gas emissions and develop
11 sustainable energy.

12 Thank you very much.

13 PRESIDENT SOLOMON: Any question?

14 (No response.)

15 Tony Lyons, NTE Energy?

16 MR. LYONS: My name is Tony Lyons and I am
Page 46

17 Executive Vice-President for Fuel Strategy and
18 Supply for NTE Energy.

19 NTE Energy is a developer of hybrid and
20 stand-alone biomass generating facilities and
21 supplier of biomass fuels for electric power
22 generation. NTE Energy's proprietary technology
23 integrates proven biomass combustion with proven
24 steam electric generating technologies into a
25 single efficient hybrid renewable power generation

55

1 facility.

2 The addition of this hybrid technology to
3 an existing generation facility provides substantial
4 capital cost savings through the use of common
5 existing major equipment and systems. In addition,
6 the technology allows the host generating facility
7 to realize significant operating cost savings,
8 further benefitting electric customers.

9 Along with a copy of my comments is a
10 document that further explains our technology and
11 company.

12 NTE Energy is headquartered in St.
13 Augustine, Florida, with a staff of over twenty
14 professionals with extensive energy industry
15 experience, including leadership roles with several
16 major energy, legal, construction, engineering and
17 wood supply firms.

18 We are currently pursuing development
19 opportunities throughout the United States,
20 including some projects here in New Jersey. We are

21 evaluating commercial scale projects that will
22 provide immediate value to the host generating
23 facility, electricity consumers and biomass fuel
24 generators/suppliers. Our involvement with the New
25 Jersey projects has made the progress of the Biomass

56

1 work Group of great interest and I am pleased to be
2 here to comment on the Biomass work Group
3 Subcommittee's recommendations.

4 we agree that, "The most important step
5 the State of New Jersey could take at this point
6 would be to assist private companies to construct
7 and operate a range of commercial biomass-to-energy
8 facilities."

9 we fully support the new Biomass Power &
10 Fuels Initiative. Cooperation between the public
11 and private sectors is absolutely critical for the
12 speedy deployment especially of proven technologies.
13 This cooperation provides us with an environment
14 with regulatory consistency and stability.

15 we have completed significant review of
16 the State of New Jersey's permitting requirements
17 and are designing our projects to be in full
18 compliance with DEP and EPA regulations and have
19 spent significant time understanding and assessing
20 the biomass fuels available for a project in New
21 Jersey.

22 Our projects are commercial scale points
23 based on proven technology that meet the financial
24 and economic goals of our company, our financial
25 partner and our host generating facility. We agree

1 that there must also be "demonstrations" where
2 barriers that arise can be evaluated to ensure
3 success and full utilization of available biomass
4 supplies.

5 Urban biomass provides a unique
6 opportunity in New Jersey because it is a heavily
7 developed and densely populated state. Urban areas
8 produce great quantities of wood waste that needs
9 to be managed to keep as much as possible out of
10 landfills and repurposed for futher benefit to the
11 local community.

12 Our projects are most likely to occur in
13 the State's urban areas, providing economic
14 development to these areas with permanent jobs and
15 stability to the supply chain (the businesses and
16 employment in those businesses) that currently
17 sources, processes and manages the woody biomass
18 material we will consume. Any actions to increase
19 access to, and utilization of, these urban wood
20 resources will significantly enhance the growth of
21 the biomass industry in the State.

22 While New Jersey may not be immediately
23 identified as a state with forest-land, it does
24 indeed have forest-land that could contribute fuel
25 to biomass-to-energy generating facilities. It is

1 very appropriate to commission additional studies to
2 better understand just what contribution New

3 Jersey's public lands and its private forests can
4 provide to achieve the State's RPS and clean fuel
5 goals.

6 The Biomass work Group has produced
7 excellent recommendations and we look forward to
8 continuing to work with the Board as it deliberates
9 these recommendations and finalizes the Energy
10 Master Plan.

11 Thank you for the opportunity to speak
12 here today..

13 PRESIDENT SOLOMON: Thank thank.

14 Any questions?

15 (No response.)

16 PRESIDENT SOLOMON: Thank you very much,
17 sir.

18 Raymond Albrecht, National Biodiesel
19 Board?

20 MR. ALBRECHT: I want to say thank you for
21 the opportunity to speak this morning.

22 My name is Ray Albrecht, I am a
23 consulting engineer from upstate New York, I live
24 about twenty-five miles southwest of Albany.

25 Yes, I'm an engineer, but also an organic

59

1 gardener.

2 This has been a fascinating discussion
3 this morning.

4 I also spent thirty years at the New York
5 State Energy Research and Development Authority in
6 Albany, I was involved for many years with
7 technology development and public policy and the

8 interaction and sometimes conflict between those
9 two.

10 The hat that I am wearing today is
11 working for the National Biodiesel Board, which is
12 the national organization of biodiesel producers, we
13 have one here in the audience today, and also
14 members of the agriculture community, end-users,
15 equipment providers, it's really a broad array of
16 everything from large corporations down to small
17 individual entrepreneurs, the business folks who
18 somehow seem to find some of these new ways of
19 producing energy.

20 I would like to express our recognition of
21 the value of biodiesel that New Jersey sees as part
22 of the future energy picture here. I would like to
23 offer the perspective that perhaps there is more
24 that we can do with biodiesel to contribute to
25 energy security and environmental sustainability as

60

1 well as job creations here in New Jersey in the
2 future.

3 Just a quick primer on biodiesel. It
4 offers substantial greenhouse gas savings compared
5 to traditional petroleum. The numbers are ever
6 better compared to producing regular diesel,
7 biodiesel offers about 85 percent greenhouse gas
8 emission savings.

9 It is also important to note that in
10 comparison with conventional natural gas, not RNG,
11 but compared to conventional fossil natural gas,

12 biodiesel achieves about 70 percent greenhouse gas
13 savings, so it is really one of the fuel options
14 that gets us to where we need to be in order to
15 achieve a sustainable planet, which is up in the
16 range of 80 to 90 percent reduction of CO2 emissions
17 from where we are now.

18 As we talked about already, biodiesel
19 offers the opportunity to use a very wide array of
20 feedstock, it's not made just from waste oil or
21 soybeans, but there is a growing menu of sources for
22 this.

23 This morning we heard a good example of
24 the type of creative thinking that has been brought
25 to bear in the development of energy resources.

61

1 Biodiesel is also a drop-in fuel
2 replacement for transportation as well as for
3 heating applications. We haven't talked a whole lot
4 about space heating in residential and commercial
5 buildings this morning, but heating oil consumption
6 is a huge factor here in the Northeast United
7 States, a tremendous dollar cost to the homeowners,
8 to the business owners who use heating oil as their
9 fuel, so that's an extra impetus for really focusing
10 perhaps more on biodiesel.

11 Capital cost requirements are enormous
12 for going with many of these other energy resource
13 types we have been discussing. With biodiesel, once
14 you get past the production stage of this, it really
15 is a nearly capital cost free process to the
16 end-users.

17 Yes, there are operating costs, purchase
18 cost increases associated with biodiesel. Sometimes
19 we look at other fuel sources as being cheaper; for
20 example, in the case of renewable natural gas, if
21 you start to amortize the capital costs of doing
22 anaerobic digestion you will run into the same
23 problem that the Europeans face, and that is that
24 it is not as cheap as we thought it would be.

25 That whole argument, should we expect

62

1 future fuels to be as cheap as what we have today I
2 think is best left for a different, a separate day.

3 with regard to growing energy costs here
4 in New Jersey as well as anywhere in the United
5 States, we really have to start to think out of the
6 box perhaps. I think in many instances we get hung
7 up on the issue of food versus fuel, that's a very
8 controversial topic, it is one that we need to
9 address squarely; however. I think we need to go
10 beyond that and think about what kind of
11 innovations in agriculture can get us past the
12 limitations that we tend to see.

13 And by that I mean the farmers, some of
14 the small farmers out there are starting to even
15 here in the Northeastern United States get into
16 concepts such as double cropping, multiple cropping
17 winter cover cropping. What this means is growing
18 more than what we normally had thought about
19 growing.

20 For example, canelino (phonetic) for

21 canola oil can be grown as a winter cover crop, you
22 can plant it late summer, early fall, after the
23 harvest of whatever you were growing during the
24 summer, it starts out during the fall and then picks
25 up again during the spring and can be harvested

63

1 during the late spring or early summer and produces
2 a very nice oil bearing crop which also has certain
3 benefits for the soil in terms of leaving organic
4 matter behind as well as adding nitrogen to the
5 soil, so just like we are talking about taking waste
6 materials, handling and recycling it to the next
7 level or generation of technology, we can do the
8 same thing with agriculture, and the National
9 Biodiesel Board is more than happy to help work with
10 agriculture, the farming industry here in New
11 Jersey, to help make that happen.

12 The other perspective with all of the
13 states, the thinking is how much of our fuel can we
14 grow here in our own neighborhood, in our own home
15 town. The numbers are invariably not very
16 promising, whether it is New York or New Jersey we
17 always come up with answers, well, if we did our
18 best we can grow five percent or maybe ten percent
19 of what we need to either fuel our vehicles or
20 generate our electricity, but the numbers come up
21 short, and rather badly short.

22 And because of this the National Biodiesel
23 Board and the environmental community at large is
24 starting to say, well, perhaps we need to think
25 internationally, and this leads us to where the

1 United Nations has started to devote much of its
2 resources and programs, and that is feedstock
3 production in the Third world by subsistence to
4 farmers who often are struggling to produce ten or
5 twenty bushels of corn per acre when times are
6 tough, and that's why they only have a dollar a day
7 to live on, but to transform these folks into energy
8 feedstock producers and thereby raise their annual
9 family income from a few hundred dollars per year up
10 to perhaps a few thousand dollars per year, which is
11 huge.

12 The United Nations, for example, has been
13 very active in South Sudan, which is that new
14 country now in Eastern Africa, to look at and try to
15 implement the potential for the production of some
16 very promising feedstock types.

17 So to this audience here which is very
18 knowledge about biomass and the role that it can be
19 play, I think I would nudge you toward thinking
20 internationally rather just what you can produce as
21 feedstock here in your home town.

22 You can get feedstocks from Overseas,
23 usually in liquid form, which means that they are
24 fairly inexpensive to ship; that's why we see these
25 big shipping tankers bringing crude oil and other

1 petroleum products so easily around the world.

2 You can bring liquid fuel feedstocks into

3 the States and then do the rest of the job here,
4 which could involve whatever type of processing,
5 refining and whatever is necessary to make a
6 finished fuel.

7 Those tasks create high paying jobs which
8 can contribute though the economy.

9 And so again, as we have always said,
10 always did say at NYSERDA and JoAnn has said, that
11 you can create a win-win-win situation for energy,
12 the environment and the economy.

13 Thank you.

14 I do have handouts here of slides, I would
15 love to give them out to any folks who may be
16 interested.

17 PRESIDENT SOLOMON: Thank you, sir.

18 Any questions?

19 Ted Michaels, Energy Recovery Council?

20 MR. MICHAELS: Thank you very much.

21 My name is Ted Michaels. I am with the
22 Energy Recovery Council, which is a national trade
23 association representing companies and local
24 governments engaged in waste energy. In New Jersey
25 our members include Covanta Energy, the Union County

66

1 Utilities Authority and Camden County, all who own
2 or operate waste energy facilities in the State.

3 There are five waste energy facilities in
4 the State of New Jersey processing more than six
5 thousand tons of waste per day and generating, with
6 an electric capacity of more than 175 megawatts.

7 This is baseload renewable power. Like the previous

8 speaker said, this is waste that is generated in
9 your home, not at home, and as everybody knows, New
10 Jersey is a very densely populated State and has
11 perhaps one of the most perfect environments for
12 waste energy.

13 But the State is only producing, only
14 using waste energy of about 17 percent of its waste,
15 and we think that there is more opportunity.

16 I heard of a few things that I want to
17 respond to. The gentleman from Atlantic County, I
18 was very interested to here his pursuit of waste
19 energy. I was disappointed to hear, when he said
20 that everybody agrees that incineration is a bad
21 idea, that's certainly not the way a majority of
22 people see it. The facilities that operate in New
23 Jersey and around the world today are modern
24 technologies. These are facilities that all come
25 into compliance with maximum achievable controlled

67

1 technology standards that the EPA put into place
2 after the 1990 Clean Air Act amendments were
3 enacted. These are the same types of facilities that
4 Europe is adopting.

5 Folks earlier had mentioned the activities
6 that had taken place in Europe, I think that's a
7 very important discussion. European nations that
8 have very low landfilling rates such as the ones you
9 are espousing and projecting for New Jersey, they
10 utilize waste energy very much. If you look at the
11 way they manage their waste, they recycle very high

12 amounts, in a country like Denmark it is roughly
13 about a 65 percent recycling rate, which is much
14 higher than what it is, more than double what it is
15 in the United States today, they use waste energy
16 for about 30 percent and then they landfill what is
17 remaining, generally inorganic materials, and they
18 use it as little as they can, and that's a great
19 model that we would like to see replicated here in
20 the United States, specifically in New Jersey.

21 The policies that are in place don't
22 promote that type of activity. Unfortunately, the
23 New Jersey Renewable Portfolio Standard actually
24 promotes landfilling over waste energy, given that
25 landfill is a Class I renewable and waste energy is

68

1 a Class II renewable.

2 So we are disappointed to see the working
3 Group's recommendations that we have no need to
4 elevate waste energy to a Class I REC. We think
5 that a good illustration of this has been recently
6 in Maryland, earlier this year in May Governor
7 O'Malley signed into law legislation that would
8 elevate waste energy from Tier II to Tier in that
9 state's RPS.

10 One of the rationales of the work group is
11 that there didn't seem to be an appetite in the
12 Legislature or that a policy position had been taken
13 by the Legislature, and frankly, before they
14 amended the law in Maryland there hadn't been any
15 legislation that included waste energy as Tier I, it
16 took that legislation to do it.

17 So we think certainly that there could be
18 a signal that is sent by elevating waste energy from
19 Class II to Class I, it would send a signal that
20 landfilling is not more important in the eyes of
21 the State than waste energy, it would send a signal
22 to investors that future policies will promote all
23 types of technologies, create a diversity of
24 generation technologies across the State and we
25 think that's very important.

69

1 Right now there are companies in America
2 that are looking to deploy capital; the capital is
3 going to follow the policies that support different
4 technolgies. Often times right now that is
5 Oversees, we are seeing American capital right now
6 being deployed Ovesees in the U.K. or in Western
7 Europe where the policies support waste energy.

8 We would like to see that capital deployed
9 in the United States. The policies that Maryland
10 put in place earlier this year, we think that will
11 drive more investment in Maryland.

12 We think that if New Jersey took that
13 approach, we would see more investment in New
14 Jersey.

15 I understand that the price, that the
16 delta between Class I and Class II RECs in New
17 Jersey is not substantial anymore; that could be
18 addressed later.

19 It seems a bit of a circular argument that
20 you don't want to make the recommendation to make

21 waste energy Class I because the Legislature may not
22 have an appetite for it, perhaps they don't have an
23 appetite for it because not enough people have been
24 asking for it. If it is the right policy and we
25 agree it is renewable then it should be Class I and

70

1 the benefits will follow later.

2 So I wanted to echo all of the excellent
3 testimony of Mike Van Brunt with respect to the
4 greenhouse gas benefits and the environmental
5 benefits and I won't take the time to repeat them.

6 PRESIDENT SOLOMON: Thank you.

7 Any questions?

8 (No response.)

9 David Pringle.

10 MR. PRINGLE: My name is David Pringle.
11 I'm the Campaign Director for the New Jersey
12 Environmental Federation.

13 In our opinion there are a lot of good
14 things in this report. We do have some concerns and
15 as always the devil is in the details.

16 From our perspective, not all biomass and
17 not all renewable are created equal. I think it is
18 important to keep that in mind as we move forward.

19 Today we are actually disappointed with
20 one of the questions that this Committee was charged
21 with, which was how do we get biomass to compete
22 with other renewables? I think that's the wrong
23 question, it shouldn't be competing against other
24 renewables, it should be how do we get all of the
25 different renewables competing more effectively

1 against the non-renewables, in particular fossil
2 fuels.

3 I am glad that the Committee really didn't
4 talk about this in terms of competition with other
5 renewables.

6 Feedstock to produce ethanol. I hope as
7 you look at the criteria that you look at several
8 things, the full life-cycle of this particular
9 biomass, the time-frame.

10 Some would argue that coal is biomass, it
11 is just over a lot longer time-frame.

12 what are all of the other benefits, if you
13 are producing ethanol from corn the major factor is
14 on food prices when we do that, it creates costs,
15 it uses more energy to produce ethanol from corn
16 than you do generating from burning that ethanol,
17 so we need to be looking at the full life-cycle of
18 the time-frame.

19 we are also very concerned that we
20 don't--The best option is no waste or less waste in
21 the first place, so while we are talking about what
22 do we do with this waste we want to make sure that
23 we don't create incentives to be more wasteful.

24 The best energy use is not needing it in
25 the first place, so a lot of the stuff we are

1 talking about, municipal solid waste, that quickly
2 falls under DEP's purview and the Solid waste

3 Master Plan, unfortunately, it never got
4 implemented, but it is still being talked about, and
5 there is a stakeholder meeting on Monday at DEP on
6 solid waste.

7 But we have gotten over sixty percent
8 recycling at one point in this State. Getting to
9 seventy percent was in that ballpark at that time.
10 It is not going to happen overnight, but we could
11 get there again. That doesn't include composting,
12 which is relatively negligible at this point in this
13 State, we could get ten percent there, it doesn't
14 include source reduction, we can get ten percent
15 there.

16 If we did those three things the amount of
17 trash left over is less than we currently landfill
18 in the State, so we wouldn't need to send any trash
19 out-of-state and wouldn't need to burn any trash.

20 Notwithstanding the previous commenter's
21 comment on it, I think folks overwhelmingly would
22 rather not incinerate if the question was posed as,
23 we have this trash, what do we do with it, that's a
24 different story, but I don't think anyone not
25 directly working for or investing in the

73

1 incinerator industry would say that incineration is
2 the highest and best use for our trash and we are
3 very concerned that we don't go down that road.

4 To that end we are very pleased that the
5 Committee didn't recommend moving garbage
6 incineration into Class I. The whole purpose of
7 Class I and Class II was to make a distinction

8 that some renewables are at least better than
9 others, and clearly solar and wind, not that we want
10 to have more landfills, but clearly the landfills
11 exist and it is preferable to use that gas and that
12 is a legitimate use as a Class I; garbage
13 incineration is not.

14 while there are different technologies
15 for garbage incineration, plasmic gasification is
16 just another fancy name, plasmic gasification to
17 garbage incineration, it might be less bad but it
18 is not good and we shouldn't be promoting it in the
19 States, especially when there are other alternatives
20 out there.

21 If we did go 70 percent, 10 percent, 10
22 percent, what is left over isn't burnable anyway.

23 The solution there is to start putting it
24 back on the producers' responsibility so that they
25 then start choosing their products to make them more

74

1 reusable.

2 To that end, I was very involved with the
3 legislative battles the Committee talked about in
4 terms of Class I and Class II and what was and what
5 should be redefined, and the Legislature made a very
6 affirmative decision that garbage incineration
7 shouldn't be Class I, and we support that.

8 Though we supported the Committee's
9 conclusion that it shouldn't be moved to Class I, it
10 makes us a little nervous that one of the reasons
11 was that the inclusion of this as waste energy

12 would not stimulate growth of this sector.

13 we don't want this sector stimulated so we
14 don't want that to be a rationale for it not being
15 Class I.

16 I think that covers everything I wanted to
17 cover.

18 Let me just conclude by saying again I
19 think the key here--I think the Committee has set
20 the stage to do this right--is the criteria for
21 moving forward, including the full life-cycle,
22 including the time-frame, recognizing that all
23 foodstocks and all processes aren't created equal
24 and if we are really going to meet the challenges
25 from energy and global warming we need biomass, but

75

1 it needs to be the right kind of biomass.

2 PRESIDENT SOLOMON: Thank you, David.

3 I would encourage anybody who has
4 additional comments to make to forward them to our
5 Board Secretary's E-mail address.

6 Gail and Dave, thank you very much for
7 your help. It's a well done report, very
8 interesting and very informative and a lot of
9 backup, it's good for people like me who need that.

10 with that I guess we will conclude our
11 last meeting and look for our final Master Plan in
12 the coming weeks. And again, if you have any
13 written comments please forward them to the Board's
14 Secretary at her E-mail.

15 And, Mary Beth, thank you as well for
16 putting everything together and making sure it runs

17 because if you had left it up to me it never would
18 have happened

19
20
21
22
23
24
25

□

76

1 C E R T I F I C A T E

2

3 I, William Sokol, Certified Shorthand
4 Reporter of the State of New Jersey, License No.
5 30X100030700, and Notary Public of the State of New
6 Jersey, do hereby certify that the foregoing is a
7 verbatim record of the testimony provided under oath
8 before any Court, Referee, Commission or other body
9 created by statute of the State of New Jersey.

10 I am not related to any parties involved in
11 this action; I have no financial interest nor am I
12 related to an agent of or employed by anyone with a
13 financial interest in the outcome in which this
14 transcript was taken; and furthermore, that I am not
15 a relative or employee of any attorney or counsel
16 employed by the parties hereto or financially
17 interested in the action.

18
19
20

10no09vember2011.txt

21

WILLIAM SOKOL

22

23

Certified Shorthand Reporter

24

and Notary Public

25

□