

COPY

1

STATE OF NEW JERSEY
OFFICE OF THE ATTORNEY GENERAL
DEPARTMENT OF LAW AND PUBLIC SAFETY

- - -

Public Hearing Re:
Criteria for Voter-Verified Paper Record for
Direct Recording Electronic Voting Machines

Stenographic Report of Public Hearing Held
The National Guard Armory
155 Eggerts Crossing Road
Lawrenceville, NJ

- - -

Wednesday, October 10, 2007
9:00 a.m.

BEFORE: RICHARD C. WOODBRIDGE, ESQUIRE

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

2

2 MEMBERS OF THE COMMITTEE

3

4 Daryl P. Mahoney

5 John Flemming

6

7 APPEARANCES:

8 Donna Kelly, Esquire

9 Gary Greenhalgh, PhD, ES&S

10 Jane Greenhalgh, ES&S

11 Willie Wesley, Jr., ES&S

12 Kevin Kerrigan, ES&S

13 Steve Pearson, ES&S

14 Margaret L. McCabe

15 Abbey Kluska

16 Karen Dumars, Deputy Attorney General

17 Jason Bistone, Deputy Attorney General

18 Mitchell Darer

19 Nirwan Ansari

20 Ari Jain

21 Pitipatana Sakarindr, PhD

22 Chunhua Chen

23 Chao Zhang

24

25

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

3

2 MS. KELLY: Can I have your
3 attention, please. I think we are going to
4 start this hearing. My name is Donna Kelly.
5 I've been doing elections for the state for
6 about 28 years maybe, I'm not really sure.
7 But this is like the fourth voting machine
8 hearing we're attending. The way it works is
9 that the voting machine committee which is
10 Mr. Woodbridge, he has been Daryl Mahoney who
11 is assistant supervisor for the assistant.
12 Mr. John Flemming who is the officer of the
13 training, what is your title.

14 MR. FLEMMING: Managing specialist.

15 MS. KELLY: But today what is going
16 to happen is the ES&S voting machine is only
17 used in Sussex county, it's going to be brought
18 before the committee for examination. We're
19 only here for purposes of examining the
20 machine for voter verified paper trail. That
21 is an issue, that is the sole reason we're
22 having the committee. State legislature has
23 passed a law that says by January 1, 2008
24 we're supposed to have paper trail, so we will
25 not likely meet that deadline, however, we're

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

4

2 moving forward with our process. The
3 committee has already looked at two other
4 machines, the one machine is used in both of
5 our counties. And also the iVotronic machine
6 but the procedure today will be the committee
7 will address the vendor, we will demonstrate
8 the machine, we certainly will allow public
9 comment. In fact, I'm very happy to see the
10 members of the Sussex County Board is here
11 because it's critical to listen to the
12 administrators who actually run the machines.
13 The way Mr. Woodbridge operates is very
14 informal. He is very good. He is very
15 patient. Even though initially when we
16 decided to have this hearing we thought it was
17 five minutes per speaker, that's not how it
18 turned out the last time. Where is our public
19 advocate representative. But anyway and then
20 also the NJIT representative New Jersey
21 Institute of Technology in our state
22 graciously accepted the state's challenge to
23 do the testing of the machine vis-a-vis the
24 state criteria, so they will also be here for
25 the benefit of the committee. Just

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

5

2 procedurally the way it works after the
3 conclusion of today's hearing, the committee
4 will write a report recommendation about
5 whether or not the machine should or should
6 not be accepted in terms of this paper trail.
7 The machine itself is already accepted by the
8 state. The attorney general will take it
9 under advisement and she will make the final
10 decision. The prior machines looked at by the
11 committee were not acceptable. The attorney
12 general accepted that determination, so those
13 machines are very likely going to go back for
14 a second amount of testing. It's the first
15 round on these. So without any further delay,
16 Mr. Woodbridge.

17 MR. WOODBRIDGE: Thank you very
18 much, Donna. It's good to be here. My name
19 is Dick Woodbridge. Just a little bit of
20 additional background. Title 19 of the New
21 Jersey statute has a requirement for committee
22 to review new types of voting machines in the
23 State of New Jersey, proposed State of New
24 Jersey and recommend through the attorney
25 general's office whether or not in our opinion

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

6

2 it meets the criteria. The criteria are
3 established by the Attorney General's Office
4 and what we'll do at some point in the
5 proceeding is to walk through each and every
6 part of this and then we'll write a report.
7 It's not going to be an instant data exercise,
8 it will take probable a week or so to get the
9 report together and then of course we don't
10 really approve or disapprove. We make the
11 recommendation and the attorney general with
12 the assistance of Donna and the rest of the
13 staff decide what to do with it.

14 We entered a new phase last July
15 when we started taking over paper trail
16 devices and this is a continuation of that.
17 We didn't have specific paper trail criteria
18 until this year, so we're using criteria that
19 are different from those applied to typical
20 DREs and to scan devices. So it's a bit of a
21 new world for us. I would like to thank the
22 Attorney General's Office for setting this up
23 and for Donna for a nice introduction. Karen
24 Dumas I think is with the AG's office. Hello
25 Karen and Jason. You're new, is that right.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

7

2 MR. JASON: Yes.

3 MR. WOODBRIDGE: Good to have you
4 here. Anyone else from the AG's office?
5 You've been introduced to Darren Mahoney on my
6 right your left and John Flemming on my left
7 your right with our parts committee. The
8 statute oddly enough requires that one of the
9 participants in the committee be a half
10 attorney, I don't know any state in the nation
11 that does that but I was asked and my
12 committee wanted to sit on a committee and so
13 I don't know how many hearings it's been
14 through, I do know I've been through about 34
15 since 1998 and probably another three prior to
16 that. So I've seen just about everything I've
17 seen maybe twice. We've had the pleasure of
18 ESS come before us prior five or six times the
19 last ten years for a variety of different
20 items and I would say on the record that we
21 all were provided John and Darrell two, two
22 large boxes of documentation probably. The
23 most thorough documentation you see to date
24 for the machines.

25 Couple of ground rules. We try to

2 keep the format clearly tight because we have
3 a lot of ground to cover. We make sure we
4 give all the vendors an opportunity to provide
5 input. These proceedings are recorded by Kim
6 Horsley over here who patiently tries to take
7 down every word. I try to remember to talk in
8 the microphone and speak fairly slowly and so
9 if you do have comments, make sure that Kim
10 can hear them. I've asked Kim to interrupt if
11 at any time she can't understand what's going
12 on. So, that may happen.

13 The procedure is that we'll go
14 through the same procedure as we did last
15 time. Well after the initial introductions
16 I'm going to give members of the audience to
17 just introduce themselves for the record. We
18 don't have a large audience today, then we'll
19 ask the vendor to make a presentation just a
20 general summary presentation of their device
21 then we'll ask NJIT to give their presentation
22 specifically three part presentation with
23 Mitch giving an overview and Dr. Jan, I guess
24 providing the general procedure for the
25 testing and Dr. Amar isn't here, Asari, I will

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

9

2 be giving specifics after that's done we will
3 probably ask if the representative from the
4 state with regard to disabilities is here, are
5 you here, very good. Make his presentation
6 and with some luck by eleven o'clock we'll
7 start marching through the specific criteria.
8 I ask your indulgence in the outset not to ask
9 any questions until we get the public comment
10 section, the public comment section portion.
11 There will be an opportunity for anybody with
12 comments or questions to do that. All
13 questions should be addressed to the chair, so
14 that we have some organization to it. One
15 other question, yes. We ask you to, remind
16 you to turn off your cell phones. I would
17 also so I'm going to start off by you've met
18 everybody from the AG's office. I ask the
19 people in the audience some of who are
20 familiar faces but since we have a fairly
21 small audience to introduce themselves for the
22 record and why don't you start off in the
23 front row.

24 MR. GREENHALGH: Gary Greenhalgh,
25 Election Systems and Software.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

10

2 MS. GREENHALGH: Jane Greenhalgh,
3 Election Systems and Software.

4 MR. WESLEY: Willie Westley,
5 Election Systems and Software.

6 MR. KNOUES: Flavio, F-L-A-V-I-O
7 Knoes, K-N-O-U-E-S, Assistant Deputy Public
8 Advocate.

9 MR. GLADNEY: Alexander Gladney,
10 G-L-A-D-N-E-Y, Assistant Deputy Public
11 Advocate.

12 MS. KLUSKA: Abbey Kluska,
13 K-L-U-S-K-A, manager of elections technology
14 for Sussex county.

15 MS. McCABE: Marge McCabe,
16 administrator Sussex county board of
17 elections.

18 MS. DUMARS: Karen Dumars, Deputy
19 Attorney General.

20 MR. BISTONE: Jason Bistone, Deputy
21 Attorney General.

22 MS. MULDER: Michelle Mulder.

23 MR. R. WOODBRIDGE: Then we have
24 Donna.

25 MR. MILLSTEIN: David Millstein,

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

11

2 state ADA administrator with the Department of
3 Treasury.

4 MR. R. WOODBRIDGE: I'm going to ask
5 Mitch to introduce his group when we get to
6 that part of the program if that's okay. And
7 David, good to have you back by the way. So
8 with no further ado, Gary, are you going to be
9 the master of ceremony. Steve, why don't you
10 introduce your team and if you don't mind
11 walking us through, give a summary of the
12 advisory.

13 MR. PEARSON: Thank you. I would be
14 happy to do so. My name is Steve Pearson. I
15 am the vice president of certification for
16 Election Systems and Software. Joining me on
17 my right is Kevin Kerrigan. He is part of our
18 certification team and has been involved in at
19 least the initial kick off of the NJIT review
20 of our system and overview for them has been
21 involved in this process for initial review.

22 Before we get into a demonstration
23 or presentation of the system, I just wanted
24 to give you a little bit of background of what
25 we're presenting today and what we're offering

2 is that the electronic, electronic DRE
3 equipped with the real time audit log referred
4 to as the RTAL system. The version that is
5 operating on the system today is version
6 92.0.0 which is currently in the final steps
7 of testing with the election assisted
8 commission new testing and certification
9 procedures. We have completed all of the
10 function testing successfully. We're just in
11 the final stages. We believe we'll be
12 complete with the final testing and all
13 documentation, discrepancy clean up, hopefully
14 within the next two weeks, two to three weeks
15 and should have a final testing at least a
16 completion letter from the ESTL which is
17 assistant lab as to performing the testing on
18 this system.

19 THE COURT: We will go back to Donna
20 Kelly about that.

21 MR. PEARSON: Sure. As soon as we
22 have a full text report from the ESTL we will
23 offer that at the same time.

24 MR. WOODBRIDGE: Probably easier to
25 go up there. You might be separated from the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

13

2 microphone a bit.

3 MR. KERRIGAN: My name is Kevin
4 Kerrigan. I am the state certification
5 manager. I've been working with NJIT through
6 the review responding to any of their requests
7 or information or issues that arose during the
8 testing. Again what we have here today is the
9 iVotronic DRE solution and then we have our
10 real time audit log referred to as RTAL.
11 We'll go through kind of how the system would
12 be implemented chronologically in an election
13 and kind of talk about some of the security
14 systems along that path. So initially from
15 our software we're able to create a PEB that's
16 called the election PEB. This contains a 16
17 bit encryption algorithm that is specific for
18 every election. At the warehouse personnel
19 will go through each iVotronic and load this
20 key onto the terminals. Now these terminals
21 contain that key specific for that election
22 and what we've immediately implemented at that
23 stage is any person the PEB is not
24 specifically for will not be able to activate
25 that terminal. That key has to match up that

2 key that is put on for every PEB has to match
3 up to the election. So if that would happen
4 at the warehouse level the assistant would be
5 transported to the polling location and this
6 election key never enters into the field.
7 It's just a warehouse security level PEB for
8 applying that.

9 MR. WESLEY: Let me add to what he
10 said that's very important because one of the
11 concerns a lot of folks have there are a lot
12 of these PEBs out there. How do we know
13 someone isn't going to come and tamper with
14 this key. The encryption and the PEB code is
15 loaded is specific for this election is used
16 one time and one time only. So the one that
17 the poll worker has is the only one that's
18 legitimate. If you put another PEB for
19 another election in it will reject it right
20 away.

21 MR. KERRIGAN: Just to clarify this
22 poll worker would never have the terminal that
23 is never implemented to the field. What they
24 then would have at the polling election is
25 what we have is the supervisor PEB. This

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

15

2 contains a code as well. It's called our
3 EEC-3 code, our motion polling location. It's
4 terminal has a key on it. All the terminals
5 has been cleared and tested before it's sent
6 out to the field to make sure it is out at the
7 field, then you would open the election with
8 the supervisor PEB. How we track these we
9 implement these in two ways; they are
10 administered with the use of lables, one we
11 label as a master, say this is our typical
12 polling location set up, we have four machines
13 the polling supervisor an hour before would go
14 that terminal serial number is noted on the
15 PEB we label that PEB as master. It's only
16 function is to be used for the opening and
17 closing of the terminals. You open your
18 terminals, secure that master key until the
19 end of election day and then the PEB would be
20 administered to the pole workers. We call I
21 think that's supervisor PEB or advocators PEB
22 activator. So that PEB would be held by the
23 poll workers. They would greet the voter at
24 the registration desk, see which ballot they
25 are supposed to vote, escort them physically

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

16

2 to the machine and the poll worker themselves
3 would activate the ballot in our system which
4 is required to as poll worker. The voter
5 never comes in contact with any media so they
6 would activate the ballot by inserting the PEB
7 into the system.

8 MS. McCABE: Marge McCabe, Sussex
9 County board of Election. When we issue the
10 PEB to the poll worker and we experience them
11 and use it, they hold it like a pacemaker.
12 They don't let it go. It's not on the table
13 where somebody could pick it up. They hold it
14 so tight that's how seriously our poll workers
15 take the job.

16 MR. KERRIGAN: I ask any procedural
17 comments you make are very welcome as with any
18 election whether it's tape or PEB a lot are
19 wrapped around the procedure and how you
20 implement, so it's very important.

21 MR. WESLEY: The comment I want to
22 make sure, that there would be a signal that
23 says, please remove supervisor PEB the that is
24 so that we help the poll worker remember to
25 keep it in their possession.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

17

2 MR. KERRIGAN: So at this point as
3 indicated the poll worker with the PEB would
4 go back to the registration desk leaving the
5 voter to vote for privacy. If there was a
6 gynasium for the voting location these would
7 be oriented 180 degrees the other way. In
8 other words, your back would be to the wall
9 preventing any access or any loitering which
10 again that is a procedural thing to administer
11 by the poll worker they need to follow a
12 standard set up and logic for how to set up
13 their voting machine, but at this point I
14 remove the PEB, the voter is now left to vote
15 the indication says do you want to vote
16 initially on the screen or do you want to use
17 the audio ballot. The audio ballot could be
18 used by plugging in headphones, there's a jack
19 here on the right side toward the bottom then
20 they would interact with our four key panel
21 here, this is the model by electronic it's
22 what we refer to as the four key id, an
23 electronic navigation bullet we have an up and
24 down arrow for we have select button for
25 making RED and this circular purple button is

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

18

2 a level of volumes. So first off pull up a
3 visual by touching the screen there is going
4 to be a ballot level voter first given a one
5 two three voting instruction screen and I now
6 brought up the first page of contest. We have
7 several different templates for how we could
8 initially lay this out what you see here is a
9 one column template it's in color that means
10 the voter candidate field takes up the entire
11 width of the screen you can touch anywhere in
12 that screen to activate that it's visually
13 shown with a check mark in that field and what
14 our real time monolog every time I make a
15 selection on the screen whether that is a vote
16 for or cancellation for an initial election
17 it's noted in real time on the screen.

18 MR. PEARSON: Can I ask you when you
19 started the voter sessions what transactions
20 were printed on on the real time printer.

21 MR. KERRIGAN: In real time it's
22 probably 12 lines here at the beginning of
23 every voting session what's printed on the
24 real time monolog the terminal is activated
25 and the time is activated the serial terminal

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

19

2 as well as the serial number of the PEB that
3 was used to activate it. We have the battery
4 voltage and we have the mode of the terminal
5 which during election day it's referred to as
6 open, open for voting. Then we also have some
7 voting session identification numbers there
8 are three sets of numbers which will probably
9 adjusted for the NJIT system and then the
10 final line after that initial opening session
11 my first election president selected Peter B.
12 Randall. So that those initial lines are
13 printed at the beginning of every voting
14 session. Now in this vote for one the way it
15 works if I make a different selection than
16 what is initially, two actions are going to
17 happen. It first deselected my first and then
18 it is applies my action to the second
19 candidate so simply put on the real time it
20 says president canceled Peter B. Randall and
21 then it says president selected it noted both
22 actions and the selection vote, vote what
23 happens if you hit the line.

24 MS. MULDER: Which line.

25 MR. KERRIGAN: Any line between any

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

20

2 line between. It will probably go one way or
3 the other I don't know, there is actually dead
4 space so you are going to get one or the
5 other.

6 MS. MULDER: Does it assume you want
7 a write in.

8 MR. KERRIGAN: I was in between the
9 write in and the last candidate.

10 MR. WESLEY: The important thing is
11 it gets you immediate feedback of what did
12 occur.

13 MR. KERRIGAN: You not only have the
14 additional feedback but you have the paper
15 identification trail of any action made. So
16 to proceed through here we have a six page
17 ballot indicated at any point I could hit the
18 question mark and bring up the initial voting
19 instructions back to the ballot. This is the
20 vote for one. You want to vote for two I kind
21 of supply how the logic works on this if I
22 make my first two selections now we can't have
23 an auto deselect feature because there is no
24 way for the logic to know which is
25 automatically deselected. So if someone were

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

21

2 to make too many selections or an overvote
3 they will be provided a warning that you have
4 already made the maximum number of selections
5 in this contest. You must first deselect one
6 of your candidates to make a further
7 selection. So if I come back to my original
8 two selections I would first have to deselect
9 them and select the other one and as we keep
10 saying everything is noted in our real time
11 audit log as well as I was prompted that is
12 also noted exact words it says overvote
13 attempt on this contest colon and when it
14 gives the contest name of freeholders. We
15 proceed I will leave a couple blank here.
16 Here is a vote for five. I will vote a write
17 in my write in selection is to select here and
18 we have seven propositions on this election
19 and just for note these are the same elections
20 that we use for the selection by NJIT. They
21 did require two different elections to be
22 coded and these first three machines closest
23 to me have the I believe this is the general
24 and the one on the end is a primary and it has
25 a different visual layout that uses two

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

22

2 columns for the contest, so you will see two
3 columns for information.

4 MR. PEARSON: When you select a
5 write in it chose a write in. What was the
6 transaction that took place on the printer
7 itself.

8 MR. KERRIGAN: On the printer
9 there's no law that you enter the write in.
10 It just notes your selection. It treats it as
11 that name was originally. The contest the
12 exact, so it says character commission
13 selected it says I selected see a request it
14 proceeds that with the star. That is the only
15 indication that was a write in selection and
16 not one that was originally on the ballot but
17 it doesn't note that I entered write in
18 because we're noting all voter choices or
19 deselections, so it notes the selection and
20 writes the name proceeded with a star.

21 So I am now at page six of six for
22 voting mode. The next button the button
23 that's now been stopped out rather than saying
24 next it says review. When I hit review, I'm
25 showing all my choices not all the candidates

2 selection but just the choices that were made
3 for every contest as well as any contest that
4 I undervoted it is written in red. No
5 selection made. I can enter that contest or
6 reenter contest and I'm brought up the
7 candidates for that contest and make a
8 reselection. When I did first enter the
9 summary mode it did make a note enter summary
10 page so now I have pressed cancelled, you're
11 able to audit that change or that alteration
12 of choice was made after I entered the summary
13 ballot. When I hit review, I'm taken back to
14 the review screen and my alteration is shown
15 here. We have a couple undervotes and this is
16 three pages and just note right now this is
17 our vote button this is how we cast a ballot
18 it's paper equivalent of dropping your paper
19 ballot into a ballot box which is a point of
20 no return for the voter and right now it is
21 did he activated the second page.

22 MR. WESLEY: Actually what was I was
23 going to show I was going to show what it
24 would do if you try to cast your vote
25 prematurely, so if a voter before giving all

2 that it would give instructions go on the page
3 they must first view all of the pages of the
4 ballot and all the pages of the summary
5 portion before they can cast their ballot.

6 MR. KERRIGAN: I believe I showed
7 some of that at the nine o'clock demo. So now
8 that I have entered the third page this little
9 button it is a little button and even if I go
10 back it can make changes as I like before you
11 you end the end of that summary screen we now
12 allow to you vote. At that point a voter can
13 press the red vote button just kind of some
14 logical interfacing of why we did it this way
15 the voter is sitting here touching the screen
16 for the entire voter section we make to press
17 the hardware button as opposed to an on screen
18 test. Just so that there's no confusion of
19 well I was voting and then I hit voter
20 something like that it's a separate item
21 located on alterate location. I'm going to
22 hit vote. At this point my vote summary is
23 printed and as Steve mentioned this prints all
24 of your selections that were made including a
25 barcode and that's readable by any RTS barcode

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

2 and the selection scrolls up nine inches right
3 now as programmed to leave the paper blank for
4 the next voter that comes. So that vote
5 summary is not a rejectable form or anything.
6 It's use for audit purposes so a poll worker
7 during an audit wouldn't have to go through
8 any added audit here and wouldn't have to do
9 pluses and minuses you can have a very easlily
10 reviewable audit trail.

11 MS. MULDER: If you saw something on
12 the paper that didn't match what you did what
13 would your remedy be?

14 MR. KERRIGAN: That doesn't have --
15 it's fully accurate whatever selection you
16 made is.

17 MS. MULDER: If you're using the
18 head set is there a way for the blind voter to
19 verify from the paper or are they verifying
20 from the digital feed.

21 MR. KERRIGAN: They are given an
22 audio feedback for every selection made just
23 like a visual voter as well as the review
24 screen they are too forced to go through the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

26

2 their ballots and they will be read all their
3 previous ballots.

4 MR. WESLEY: What he said you have
5 to determine locally how you're going to
6 handle covering this screen in the event that
7 visual impaired person was voting it does
8 record their choices on here as well.

9 MS. MULDER: To protect the privacy.

10 MR. KERRIGAN: Another feature that
11 I would like to note I think this is pretty
12 important for some of the issues we'll be
13 discussing later. Right now we have this
14 machine programmed for a nine inch window. So
15 what it has to do at the end of every voting
16 session in order to leave this nine inches of
17 wasted paper, not wasted because you're
18 ensuring the privacy of the vote. This
19 software contains four point five window
20 cutting it in half and what we do we attach a
21 steel plate that matches this material with
22 adhesive and that would be on the top portion
23 and then the machine will ask for the four
24 point five section that leaves a blank
25 section, so essentially you are saving four

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

27

2 point five inches of paper per vote cast so
3 it's pretty significant amount of paper
4 savings in this firm ware version compared to
5 some of the previous ones in the state. NJIT
6 testing the machines are already programmed
7 for nine inches. So, there will be some
8 discussions about how many votes can you get
9 per roll. There are a lot of issues when
10 trying to come to that number, but that is a
11 very significant fact in terms of how many
12 votes or sessions you can get on a roll.
13 Continuing the roll its a 300 feet of thermo
14 paper it is the only consumable in this
15 because it is a thermo printer you're not
16 dealing with ink on election day or anything
17 you just have a roll of paper.

18 MR. WESLEY: There aresome things
19 about this paper also there's sensors inside
20 the printer that will alert you when you have
21 leveled the amount of paper gets low there is
22 a rooster tail that is at the very end a red
23 strip to give you a visual indication your
24 getting closer.

25 MR. WOODBRIDGE: How hard is that to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

28

2 change a roll. You got 300 feet if the takes
3 18 inches per voter do the math but 200 voters
4 so if you get to that level, how do you how
5 hard is it to change rolls there.

6 MR. KERRIGAN: I will take that
7 question and kind of wrap it into a lot of
8 different security issues. First of all with
9 the printer it is behind a lock and key
10 mechanism which unlocked the door flips up and
11 anybody is welcome to walk back here right now
12 it will be a little crowded, there are cords
13 to contend with. So here is a printer along
14 the right side from the back we do have a lock
15 and key to security it. This is the door that
16 will clip up on the hinge, you will apply a
17 tamper area sticker seal over that door. So
18 when a paper roll needs to be changed or there
19 are any issues you can unlock the printer and
20 its a reel-to-reel our feed reel what is the
21 first one referred to as paper roll the paper
22 roll goes on this top portion and here is your
23 pick up reel all your results are being
24 accumulated onto. There is instruction how to
25 load as well as on the printer and what that

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

29

2 entail is when your roll gets low you would
3 take out your take up reel which is on a spool
4 you would administer the transportation of
5 that whatever local procedure calls for that
6 can mean putting it in I believe Gary said is
7 how they handle it in West Virginia and then
8 you would take your new paper roll, slide it
9 on here it gets fed through a little gap once
10 the paper hits that recognizes it grabs the
11 paper and brings it up to a length about here
12 enough you can then attach that in onto your
13 tape up spool, you get it wound up and started
14 put the spool in and you're good to go.
15 You're up and running with a new roll.

16 I think we're kind of esteemed in
17 the field. A person that has done this
18 several times can probably change a roll from
19 anywhere from 30 seconds to a minute. A first
20 time user the only trick is getting it started
21 on the take up reel so it may take him a
22 minute and a half to two minutes to change the
23 reel. It's fairly quick. The other
24 procedural thing aside from changing the reel
25 you would have to break that seal following

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

30

2 any procedures you would have to do for
3 applying a new seal document all your security
4 systems there.

5 MR. PEARSON: What have some of the
6 other states done with that the reel of the
7 votes that have been cast.

8 MR. WESLEY: There's usually some
9 sort of chain of custody established as far as
10 how you secure that, but once that's removed
11 you put it in an envelope or some sort of
12 ziplock bag where you can put a seal on it a
13 numbered seal so you can ensure the chain of
14 the custody is not broken for that because
15 that is the official ballot in some states so
16 would you treat it the same way you would
17 treat a paper ballot. You would drop through
18 an optical scan read error through a ballot
19 box.

20 MR. KERRIGAN: Continuing on with
21 some of the abilities to seal and such of
22 course your primary focus is your election
23 results our your stored onto a remove panel
24 flash media at the top of the screen we store
25 our votes internally throughout voting day

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

31

2 they are stored on three internal chips which
3 are two of them are soldered flash chips the
4 other one is removable at the start of voting
5 sessions those three internal memories check
6 each other on our system and they make sure
7 they are all reading and writing the
8 information before it allows any votes to
9 proceed. We have the internal memory source
10 when you close polls all that data is written
11 to your master PEB that you open and close
12 with as well as to the compact flash. Vote
13 totals are stored on the EPD on the compact
14 flash where compact as well as the audit log
15 from all actions performed on this system. So
16 those two pieces of media would then be
17 transported to central for tabulation. So,
18 that compact flash card or we've already
19 talked about the maintenance of the PEB in
20 Sussex Count, kind of explained how dearly
21 they protect that. With the compact flash
22 themselves it's protected through a sliding
23 door which has some loops here you could apply
24 a wire seal to or sticker seal over that as
25 well. This gray cord that you see here which

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

32

2 is kind of sticking out that could be tucked
3 under the top portion would be visible to the
4 voter we apply seals over that tamper evidence
5 seals as well as the power connection is
6 located on the top. These are battery powered
7 and we plugged them in. The battery is
8 powdered by the AC/DC. If I were to
9 disconnect the power during a voting there's
10 no distinction or anything you're still
11 running on battery powdered it's just now the
12 battery is not charged.

13 MR. WOODBRIDGE: How long is the
14 battery life on that.

15 MR. KERRIGAN: An active use for
16 federal use we have to pass at three hours.

17 MR. PEARSON: I was thinking it was
18 two hours that we had.

19 MR. KERRIGAN: Two hours active use
20 and I think ten hours inactive use. I
21 honestly can't say the exact number.

22 MR. WESLEY: I can add this he is
23 correct it does run off batteries when it is
24 plugged in it does two things, one it does a
25 triple charge to the battery as well as power

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

33

2 the flash screen when you disconnect at end of
3 the session you don't see this screen the
4 screen that's up here now that goes away to
5 prolong the battery life. My experience in
6 working with these depending on the amount of
7 activity you have whether you're using an
8 audio you get a little more than three hours
9 on active use on the terminal.

10 MS. MULDER: If the battery ran out
11 before the election was over what would be the
12 result.

13 MR. WESLEY: You wouldn't vote on
14 the machine.

15 MS. KLUSKA: Abbey Kluska from
16 Sussex County. Since we do already use the
17 machine but not with the paper trial we can
18 answer that question pretty well. If the
19 battery were to run out and voter were in mid
20 vote it would tell you battery is too low to
21 continue. The poll worker would be alerted,
22 the voter would then plug it back in and then
23 it works. It's as simple as that.

24 MR. PEARSON: Once power was
25 restored. And and once powdered was restored.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

34

2 MS. MULDER: All the cast vote
3 ending for that voter. And and every vote
4 that is cast is recorded to.

5 MR. PEARSON: They are security.

6 MR. KERRIGAN: Another note about
7 that at any time visually confirm that there
8 is a public count at the end of the electronic
9 that tells your number of votes count.

10 MS. McCABE: Marge McCabe Sussex
11 County because of the size, it's the size of a
12 laptop and there's no information in the
13 machine when it goes out it is an empty
14 machine. We verify zero total before it goes
15 out, we have technicians on the road who can
16 actually have them in their car and if there
17 is an issue with a machine, if there is an
18 issue with a battery we have between two and
19 five machines in every district so they can be
20 switched off and technician can like go to a
21 district with another machine and replace it
22 out because they are so easy to transport.

23 MR. WOODBRIDGE: If the public
24 counter is there, is there a private counter
25 functional somewhere in there.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

35

2 MR. KERRIGAN: There is a life time
3 counter as well called protective counter.
4 But all that's displayed on the screen right
5 now is the opening flat screen is we have the
6 name of the election the polling location so
7 you can always verify that make sure the
8 machine is in the right way public count and
9 then on the right side we have the time and
10 date as well as the status of the power which
11 is right now plugged in, so you can also
12 verify, okay, I am on DC power. I need to
13 check maybe flip a light switch to get that
14 socket whatever the case may be.

15 MR. WESLEY: Let me backtrack a
16 little bit. I don't know if he is going to
17 get into it I'm going to jump in. He talked
18 about the TRC the triple redundancy check one
19 of the issues I face a lot of places we're
20 installing how do we know our vote how do we
21 know the machine is working. It is very
22 important because it is a bit of functionality
23 that's performed at the beginning you activate
24 a ballot where it actually does a comparison
25 of the records that is on each one of the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

36

2 chips those three internal memory chips and it
3 ensures that they are equal at the start of a
4 ballot when a ballot is after the voter
5 completes it and push the vote button it goes
6 through that TRC again it does that is
7 sequentially before you see a screen on here
8 and it says thank you for voting. If before
9 that screen comes up it detects it did not
10 report the votes accurately to all three of
11 those memory locations it will shut down that
12 machine the importance of that is before the
13 voter leaves the precinct would notify him
14 that threes a problem were there machine,
15 notify poll worker and at that point it will
16 actually tell you on the screen it will close
17 down this machine and tell you which one of
18 the chips contains the total record and you
19 can actually take that voter to another
20 machine before they leave the precinct which
21 is very important feature on this electronic
22 it assures you would never lose a vote.

23 MS. MULDER: I'm sorry, it tells if
24 you the chip didn't record your vote.

25 MR. WESLEY: Yes, it will tell them

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

37

2 that they need to contact the poll worker or
3 election official because there is a
4 malfunction on this machine. So it gets their
5 attention poll worker looks at the screen, he
6 can then take them to another terminal so they
7 could cast their ballot prior to leaving the
8 precinct.

9 MS. MULDER: This is after the test
10 that said they each were making duplicate
11 records.

12 MR. PEARSON: Yes, it is. A
13 hardware failure can occur at any time with
14 any electronic equipment it's got the test
15 before the session starts during the session
16 as the votes are being written it also
17 validates they were written successfully and
18 that they are all functioning properly. So at
19 any point if it detects a hardware failure it
20 will notify and protect.

21 MR. WESLEY: And the importance of
22 that is it's important for us that we notify
23 the voter and the poll official before that
24 voter leaves that precinct because we're
25 protecting the vote for that individual.

2 MS. MULDER: Let's pretend it is
3 some other vendor machine and they have a
4 software glitch you guys don't have. If the
5 software had that glitch and it recorded the
6 wrong person but it did so accurately in three
7 places, does this machine tell you that, does
8 it is there any way for it to know that.

9 MR. WESLEY: I can let Sussex
10 respond to this as well, local procedure you
11 always perform what's called a logic and
12 accuracy report. The purpose for that
13 pre-election prior to you casting any votes on
14 this machine if I vote for John Doe, that vote
15 is recorded for John Doe and you perform that
16 that is a requirement and good procedure. And
17 and I think a good example of this would be
18 the way we explain it and I think this may
19 address your question. If someone were to try
20 to hack it and they were to somehow write one
21 of the chips the other two chips would say I
22 have 50 votes, I have 50 votes, I have 51
23 votes I have a problem, I need to should down.

24 MS. MULDER: I was assuming the
25 hacker would hack the software and then the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

39

2 identical information would go everywhere but
3 it would be wrong and and I don't know how you
4 do that.

5 MR. WESLEY: You would have to gain
6 access to the machine. You would have to have
7 the encrypted election key.

8 MS. KLUSKA: The people that sign in
9 the box in their roster books and their voting
10 authority slips that total would be the right
11 total.

12 MS. MULDER: It would be the right
13 total the only way to do it would have to be
14 in-house some other vendor.

15 MR. WESLEY: That's the reason we do
16 the program. Its critical that you perform a
17 logic and accuracy test to ensure those type
18 of scenarios aren't taking place. I've
19 attempted with individuals that say how do we
20 know it got it, it doesn't kick in I will
21 change the time on the machine and let's run
22 this logic and accuracy again just to show you
23 that's the purpose for a public logic and
24 accuracy test to enhance the competency of the
25 voter to ensure they are all being recorded

2 properly.

3 MS. McCABE: We set our machines
4 ahead to election day to make sure there are
5 no easter eggs.

6 MR. PEARSON: And then you seal once
7 you complete, then everything is sealed.

8 MS. McCABE: And and may interject
9 this as well. One of the things we kind of do
10 unique to Sussex county after we do our logic
11 and accuracy test, we do manually by hand to
12 prove votes aren't being switched up or down
13 or all around we print a zero total from each
14 machine and that zero total is proof not just
15 visually but also from the machine it's
16 completely empty before the poll workers and
17 when they open it they also verify everything
18 that we've said with ballot control logs.

19 MS. MULDER: So the only recording
20 issue that comes up on this is the one where
21 there's a hardware failure to that that you
22 described.

23 MR. WESLEY: If it were to occur.

24 MR. KERRIGAN: That's if we check in
25 the CRC.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

41

2 MS. McCABE: That is a VVPAT system
3 correct the triple redundant:

4 THE COURT: We may want to move this
5 along.

6 MR. KERRIGAN: I think we've covered
7 everything. Why don't we go back.

8 MR. WOODBRIDGE: This is a little
9 bit different than our usual procedure and I
10 am trying to do something slightly out of
11 order but I think it's going to be for the
12 benefit and I'm going to ask Mitchell Darer if
13 he wouldn't mind hearing from the New Jersey
14 Department of Disabled -- I can't remember the
15 exact name, it's easy to take him on first
16 because he is out of state for the rest of the
17 time. David, if you wouldn't mind giving us
18 your thoughts on this machine?

19 MR. MILLSTEIN: Good morning. My
20 name is David Millstein. I am the state ADA
21 administrator with the Department of Treasury.
22 The purpose for this discussion is on the
23 accessibility of the iVotronic voting machine.
24 This system is a stand alone, sits on a tripod
25 with a viewing screen that is touch sensitive

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

42

2 with the ability to allow a person who is
3 blind or visually impaired to follow
4 instructions using a four button system to
5 make a selection for voting purposes. For the
6 purpose of my evaluation, accessibility is for
7 under Title Two of the American for
8 Disabilities Act. The opening of the machine
9 is wheelchair accessible and has an opening of
10 45 inches which then goes down to a 36-inch
11 opening which allows the user to pull directly
12 in front of the machine. The forward reach
13 gives the user the ability to utilize a touch
14 sensitive screen with the final button to
15 tabulate the user's vote at 51 inches in
16 height. The machine has the ability to both
17 visual users and persons with visual
18 impairments utilizing the audio input for a
19 person who is blind or visually impaired. The
20 voter uses a headset. Each of the
21 instructions as well as the ballot itself is
22 done in real time voice prerecorded. The
23 machine does not use any type of voice
24 synthesizer. Each selection is then repeated
25 to the user along with the paper trail that is

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

43

2 printed out and based upon my recommendations,
3 the machine also has the ability for font
4 size, color contrast, black and white
5 background, can be utilized by all users and I
6 would accept this machine as a usable machine
7 for a person with a disability.

8 MR. WOODBRIDGE: Thank you, David.
9 Last time you were here you also indicated you
10 that you had at the facilities another test
11 machine. Did you bring that here at this
12 time?

13 MR. MILLSTEIN: No, I did not with
14 Marilyn Rosenthal who I brought with me who
15 was visually impaired and blind, she showed me
16 what she was actually looking for. I did the
17 process and the test this morning as a person
18 who was visually impaired. So I did do the
19 machine, voted on the machine as a visually
20 blind person utilizing the audio input.

21 MR. WOODBRIDGE: And you are
22 satisfied it meets the requirements with
23 regard to disability?

24 MR. MILLSTEIN: That is correct, I
25 am.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

44

2 MR. WOODBRIDGE: Thank you.

3 Mr. Millstein is kind enough to do this during
4 a busy day. I don't usually do this, if
5 anyone has any questions on the disability
6 issue perhaps you may want to phrase them now.
7 If not, David, thank you very much.

8 MS. McCABE: If I may.

9 Mr. Millstein, the comments that you just made
10 about the usability of the machine applies to
11 the iVotronic itself?

12 MR. MILLSTEIN: That is correct.

13 MS. McCABE: And not the paper
14 trail.

15 MR. MILLSTEIN: I'm simply going by
16 the iVotronic, the hardware and the software
17 part of the machine.

18 MS. McCABE: Thank you.

19 MR. WOODBRIDGE: Any other
20 questions? Thank you again, David. Good to
21 see you.

22 MR. MILLSTEIN: Thank you.

23 MR. WOODBRIDGE: Mitch, would you
24 please be so kind to introduce your crew and
25 give us your report. Mitch Darer from New

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

45

2 Jersey Institute of Technology.

3 MR. DARER: Thank you. Good
4 morning, thank you for this opportunity to
5 discuss our project and report. I'm Mitchell,
6 M-I-T-C-H-E-L-L Darer, D-A-R-E-R, executive
7 director of NJIT Center for Informational
8 Technology. I'll provide an overview,
9 professor Ari Jain will provide the test, the
10 sample sizes and balance scenarios and Nirwan
11 Ansari will discuss the specific findings for
12 this machine under examination today.

13 After the criteria was issued in
14 May, the Attorney General's Office asked NJIT
15 to develop and conduct testing to evaluate
16 certain machines against the criteria. The
17 requirements addressed design, procedures
18 usability security, reliability and these
19 formed the performance criteria used in our
20 test. Some are qualitative and subjective
21 such as "allow the voter to easily review his
22 or her paper record" and others are
23 quantitative matters of fact such as shall not
24 externally communicate with any system. Each
25 of almost 70 individual requirements in the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

2 criteria was subjected of up to four different
3 types of tests. Twelve exceptions defined as
4 a situation where in testing against the
5 criteria did not completely or did not clearly
6 near the requirement expected results were
7 reported. The project team included senior
8 faculty and staff with extensive experience
9 and information technology cyber securities
10 and statistical analysis. The secure lab was
11 established to design and perform the testing
12 and to house all vendor items. The vendors
13 supplied machines, documentation and other
14 peripheral equipment such as barcode reader
15 and audio components, vendor staff was very
16 level in explaining machine operations and
17 procedures and answering technical questions
18 although they were not present at or involved
19 in the actual testing, nor did the attorney
20 general's office influence or participate in
21 the testing. The team spent thousands of
22 hours over two months on this project
23 scientifically and objectively evaluating and
24 documenting the machines performance against
25 the criteria. We also documented the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

47

2 configurations and versions of the NJIT tested
3 machines versus the ITA tested machines. To
4 support the testing sample ballot scenarios
5 were developed, four different test procedures
6 as I mentioned were designed and used to
7 evaluate different elements of the performed
8 criteria and for different reasons. The four
9 tests on the single test and three volume
10 tests, the 1200 vote test, the 14 hour test
11 and the 52 vote test.

12 Now I would like to introduce
13 Professor Ari Jain to discuss the test balance
14 scenarios and tallies.

15 MR. WOODBRIDGE: Thank you, Mr.
16 Darer. Welcome back Dr. Jain, good to have
17 you here.

18 MR. JAIN: Good morning and thank
19 you. I'm professor Ari Jain, a senior
20 University lecturer in NJIT division of
21 mathematical sciences. As Mitch mentioned
22 I'll describe the tests, the sample sizes, the
23 ballots, the scenarios and four types of
24 tallies.

25 We developed four test procedures;

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

48

2 the single test, the 1200 vote test, the 14
3 hour test and the 52 vote test. The single
4 test is a one time examination, inspection or
5 review of equipment, operations and random
6 documentation. It includes a physical
7 inspection of various components of the DRE
8 and the VVPR voting system as well as an
9 examination and comparison of paper records,
10 electronic records and barcodes. There are
11 three volume tests a 1200 vote test, a 14 hour
12 test and a 52 vote test. We use two ballots a
13 long ballot with 19 items and a short ballot
14 with nine items. Both of these ballots are
15 displayed in the ESS machines here, Kevin gave
16 his demonstration by using the long ballot.
17 We used 12 voting scenarios for each ballot.
18 Eight scenarios are completely balanced with
19 respect to the two parties for various
20 positions and the yes no votes for several
21 questions. These 12 scenarios are
22 representative of over a million possible
23 scenarios that you can have. In addition, we
24 had four scenarios that focused on testing,
25 writings and undervotes. The 14 hour emulates

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

49

2 actual physical voting situations over a total
3 time period of 14 hours representing entire
4 election day in any of our counties. Mark
5 voters were recruited to cast various
6 scenarios, this test resulted in about 300
7 votes for the ESS machine. Immediately
8 afterwards we asked these marked voters to
9 answer some questions about their experience
10 with the reviewing, changing and accepting
11 their votes. The 1200 votes simulated test
12 generates votes continuously based on a short
13 ballot. The ballot that is on the other
14 machine in a scripted program which is set up
15 electronically. However, since the ESS
16 machine did not have the script capability, we
17 ran this test by doing a manual test. A
18 number of votes, the 1200 votes is chosen to
19 exceed the guideline limit of one machine for
20 750 registered voters resulting in paper
21 records, electronic records, closed poll
22 reports and the barcodes we examined and
23 compared them. The 52 vote test is designed
24 to check the multiple page ballot which is not
25 applicable to the ESS machine because it has a

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

50

2 roll of paper. We obtained four sets of
3 tallies derived from the counts of paper
4 records, scanned paper records, closed poll
5 reports and the electronic records. In case
6 of the 14 hour test and the 1200 vote test, a
7 few paper ballots were not printed because of
8 paper jams. Therefore, we could not compare
9 all four counts, all four tallies. We were
10 able to compare the paper records with the
11 scanned paper records and they match
12 perfectly. Similarly, we were able to tally
13 the closed poll reports with the electronic
14 records and they matched perfectly. Thank
15 you.

16 MR. WOODBRIDGE: Thank you. Can I
17 ask you one question. The procedures that you
18 used with this machine ES&S were the
19 procedures the same as procedures used just
20 last July to with the Cusakoia and the Deboney
21 machines?

22 MR. JAIN: Yes, they were identical
23 machines.

24 MR. WOODBRIDGE: Thank you.
25 Dr. Ansari, I think you're up next.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

51

2 MR. ANSARI: Good morning and thank
3 you. I am Nirwan, N-I-R-W-A-N, Ansari,
4 A-N-S-A-R-I. I am a professor of electrical
5 and computer engineering at NJIT. And since
6 the ES&S an electronic and retail machine that
7 is quite different from the previous machines
8 we have tested. So let me first describe the
9 characteristics of these machine. Actually
10 Kevin described it pretty nicely. So this
11 uses a design we refer to as real time audit
12 log system. In which each voter selection is
13 printed as the voter makes each selection on
14 the DRE routed and after the voter makes all
15 his selections in all contacts on the DRE each
16 transaction selected, deselected or changed is
17 printed immediately after the choice is made.
18 It was demonstrated I think by Kevin earlier
19 so undervotes are not indicated at this point
20 on the paper record. A change or deselection
21 of any prior choice can be made at any time
22 before the vote button as you can see on the
23 machine is pressed. So the voter has
24 unlimited opportunities to change a vote,
25 selection and review the printout one by one

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

52

2 of an individual selection before the vote
3 button is pressed. However, the ballot with
4 all the contact selections including
5 undervotes is printed only after the vote
6 button is pressed. So at that point the voter
7 does not have an opportunity to reject the
8 final print up of the ballot. So, according
9 to the criteria and the voter verified paper
10 record called the VVPR or the paper record is
11 defined in section one as follows. It is
12 physical piece of paper on which the voter's
13 ballot choices are recorded cast and preserved
14 for later use in any recount manual audit. So
15 for testing purposes this definition is
16 integrated as referring to the entirety of the
17 print out of the paper vote on the voting
18 session of a voter. The cast ballot point on
19 the paper route which cannot be rejected is
20 referred to as the vote summary. This vote
21 summary is electronically saved in the text
22 format referred to as the voter image which is
23 essentially referred to in the criteria the
24 New Jersey criteria as the electronic record
25 or the electronic voter ballot and official

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

53

2 ballot of the voter. So, having integrated
3 had the paper record, let me briefly go over
4 the 12 exceptions in which the machine fails
5 to comply with the test criteria and each
6 exception refers to every criteria cited in
7 the report. So briefly for exception once
8 it's related to the facilitation of reviewing
9 accepting and rejecting paper records. So for
10 this exception one there's only one paper
11 record printed per voter. The vote does not
12 have opportunities to recast the ballot up to
13 two additional times as required by the
14 criteria. And the voter has unlimited
15 opportunities to review each individual line
16 as it is printed immediately after each
17 selection, deselection or change. However,
18 the undervotes are not printed in that line by
19 line printing following individual selection,
20 deselection or changes and therefore the voter
21 cannot see or review the undervotes at that
22 time on the print out. The voter can then
23 completely review the completed ballot on the
24 screen on the DRE screen. If acceptable,
25 press the vote button on top of the DRE screen

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

54

2 that cause the ballot to be cast then the vote
3 summary showing the entire ballots, entire
4 ballot cast is then printed on the paper
5 record but it's not reviewable by the voter
6 since it rapidly advances to the print out
7 spindle. Even if the voter were able to read
8 the vote summary in that short period of time
9 there is no mechanism for the voter to reject
10 the voter record at that time and recast the
11 ballot. Exception number two is essentially
12 related to the secrecy of all votes cast. As
13 you can see from the machine there are two
14 side panels, but by themselves they do not
15 provide privacy. An observer may be able to
16 read the screen or by standing behind or next
17 to the voter. Exception number three is
18 related to voter privacy. Once the voter
19 presses the vote button to cast the ballot,
20 the printer prints out the vote summary with
21 the exact date and time of the voting session
22 on the paper record. So if hypothetically if
23 this time stamped information is compared to
24 the poll log which records the time when the
25 voter checks in, it is possible that the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

55

2 record could be matched to the voter therefore
3 compromising the voter privacy. Exception
4 four is related to the provision of 750 voters
5 per machine. The paper replacement is
6 expected for an election with more than 120
7 votes. In our experience it ranges from 117
8 votes to 135 votes in all the tests that we
9 did. Each selection, deselection or change
10 generates one or two lines of prints plus
11 blank space approximately four lines and also
12 there are about four by nine inch blank space
13 to run for the privacy purpose. Exception
14 four is related to security of various
15 components of VVPRS. The roll of printer
16 paper is accessible upon unlocking the printer
17 cover but at that time the paper records
18 accessible. The cable connecting the VVPRS to
19 the DRE is exposed and can be easily
20 disconnected from the printer port on top of
21 the DRE. Exception four is related --

22 MR. WOODBRIDGE: May I interrupt you
23 one moment. The cable on the top, is that a
24 power cable or is that a printer cable?

25 MR. ANSARI: That is a printer

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

56

2 cable.

3 MR. WOODBRIDGE: There are two
4 cables, okay, I got you.

5 MR. ANSARI: Exception number six is
6 related to this low paper indicator. So if
7 the amount of paper reaches the amount of
8 limited limit during the voter session the DRE
9 does not give the voter opportunity to finish
10 the voting and the DRE automatically voids
11 that vote; that is the system cancels the
12 selections and lock the system and the voter
13 has to restart the voter session. And one of
14 the criteria require that you need to allow
15 the voter to finish the vote in the middle of
16 the voting. Exception number four, number
17 seven concerns about the font size. We tried
18 and we demonstrate the VPRs cannot show the
19 font rate 6.3 to 9 millimeter. The maximum
20 size we tried that we can see using the
21 magnification device supplied by the vender is
22 in the range to three to five millimeter
23 range. Exception eight pertains to the
24 linkage between the electronic image records
25 and paper records. While the documents

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

57

2 doesn't provide us the procedure how to
3 reconcile the electronic ballot records with
4 the paper record, however we find out that the
5 electronic ballot image records are saved in
6 ascending order of the election identification
7 number. This is a memory address pointer
8 referred by the vendor that the EIN is printed
9 on the paper record and contained on the back
10 of the record, therefore the EIN is the
11 linkage of the electronic ballot image record
12 to the corresponding paper record. However,
13 matching it the to the corresponding paper
14 records is quite difficult if you have a large
15 volume of votes and we can elaborate on that
16 later on and it is possible only if no paper
17 records are lost. If there is a paper record
18 is lost there could be a mismatch. Exception
19 number nine is related to printer malfunction
20 such as paper jams, so neither the DRE nor the
21 VVPRS can detect a paper jam. When the paper
22 jam occurs, the voter can still make or change
23 selection on the DRE and cast the ballot as
24 normal. However, the printer keeps printing
25 on the same area on the paper roll making it

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

58

2 illegible. No audio or visual warning system
3 is given to either the voter or the poll
4 official when there is a paper jam. The vote
5 is electronically recorded and counted. The
6 paper jams with respect observed in both
7 single test and two voting test. One paper
8 jam during the 14 hour test even resulted in
9 paper torn apart in which selections are
10 backwards or not printed. Exception number
11 ten concerns the cable disconnection. If the
12 printer cable is connected after the voter
13 presses the vote button, the ballot is
14 electronically recorded and counted in the
15 closing poll report. Because the cable is
16 disconnected so there's no printing. No back
17 up is printed on the and the cancellation is
18 indicated on the DRE screen and even lock
19 report. Exception eleven and 12 are some
20 miscellaneous exceptions not really associated
21 with any of the particular criteria. These
22 are just our observations. Exception 11
23 stated that a person who possesses a
24 supervisor PEB can activate a ballot in a few
25 seconds without any cross-checking with the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

59

2 poll log so using a supervisor PEB any person
3 can cast as many ballots as he or she wants.
4 Exception 12 I think is related to the
5 operations. I think during the volunteers
6 after approximately 250 votes has been casted
7 the DRE produces a warning message. When the
8 same supervisor PEB was once again instructed
9 to activate the subsequent ballots. This
10 warning message continued for subsequent
11 votes. While this warning does not preclude
12 the voter from voting, the even lock shows a
13 warning message that was not understandable.
14 We can elaborate on that a little more.
15 That's all I have to report at this point.
16 Thank you very much. Very, very good detailed
17 report. For the record I should indicate that
18 this report was furnished to the vendor. The
19 vendor has supplied to the committee its
20 response to these issues that were raised by
21 NJIT and the easiest way to address, to deal
22 with it is address each of these concerns or
23 exceptions raised by NJIT raised to a specific
24 portion of the statute, we walk through the
25 statute that's the best opportunity for the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

60

2 vendor to respond and people to elaborate as
3 case may be.

4 Just a matter of housekeeping, in
5 addition to that response from the vendor to
6 the NJIT report, the committee was furnished
7 with a comprehensive collection of documents
8 that were included in a seven, or summarized
9 in a seven page fax to me from the Attorney
10 General's Office. I'm going to Karen Dumars
11 if she wouldn't perhaps be kind enough to
12 provide an extra copy to the court reporter of
13 this document. I'd give her mine, but my is
14 too well annotated and too well covered to
15 give an official record so that pretty much
16 summarizes it. We have two large boxes of
17 materials that have changed the characteristic
18 of my SUV. I'm not saying they weren't
19 interesting material. As a matter of fact I
20 would probably go on to say this is one of the
21 most comprehensive thoroughly documented
22 hearings that we've had the pleasure of
23 presiding over. So if that could go in the
24 record and you get that from Karen.

25 I've also asked Mitch if he would

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

61

2 kindly give us a list of the people who are
3 attending so that we could put that in the
4 record too. With no further ado we're going
5 to try to take a break around 12 for a one
6 hour lunch period and then come back and
7 finish our job. Since we are moving along
8 pretty smoothly, I'm to go to start with the
9 going through the statute, not the statute,
10 but the criteria. What we do is we literally
11 take each section, each relevant section of
12 the criteria and read it out loud and then
13 where necessary ask for responses from the
14 vendor. The statute we're reading from is
15 keyed into NJIT exception, so we could deal
16 with the exceptions and go through the
17 criteria. So the committee is ready, we'll do
18 that for the next few minutes and then around
19 12:00 o'clock we will take an one hour break
20 for lunch.

21 There are portions of the criteria
22 that really aren't relevant to the machine, I
23 will point those out as we go along. So, if
24 the committee -- and what we're working from
25 by the way is the material from last July it's

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

62

2 entitled, State of New Jersey Criteria for
3 Voter-Verified Paper Record for Direct
4 Recording Electronic Voting Machines and it's
5 I guess about 13 pages long. The first page
6 is definitions and beginning at the top of the
7 second page is more definitions and then the
8 part that we start in the substantive elements
9 related to the machines in question begin on
10 page two, Section B operation. So we're going
11 to begin with that. And the operation -- and
12 I'll provide a copy to you, Kim of what I'm
13 reading so you can duplicate the corrections
14 on it. And what is also convenient for us is
15 NJIT's report keys in not only to the sections
16 by a number of the text, so you can follow
17 along exactly what we're dealing with.

18 B. Operation. Paragraph number
19 one. The VVPRS are designed in various
20 configurations. In all configurations, prior
21 to casting the ballot, the voter shall have
22 the ability to verify his or her selections on
23 a paper record and in a private and
24 independent manner. This was noted as one of
25 the exceptions, exception number two in the

2 NJIT report and the comment there and
3 exception number two comes up in three other
4 locations, the relevant comment there is
5 quote, "Two side panels exist, but by
6 themselves they do not provide privacy. An
7 observer may be able to read the screen or
8 Paper Record Display Unit by standing behind
9 or next to the voter." And I ask the vendor
10 if they have any response to that.

11 MR. KERRIGANIGAN: This is Kevin
12 Kerrigan. As we noted in our responses and in
13 our briefs that I provided earlier, we do have
14 the doors of the booth itself which provide
15 protection from the side, and there are some
16 administrative procedures in polling places
17 set up that would ensure voter privacy as well
18 as the standard practice which prevents
19 loitering around the voting station whether
20 that's paper or DRE solution being
21 implemented. So the combination of the booth
22 set up itself which would protect a voter from
23 the site as well as how you set up the section
24 itself. I believe I mentioned it would be
25 rotated 180 degrees the way we have it set up

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

64

2 here today, so the voter's back is to the wall
3 preventing anybody who come from behind. As
4 far as the voters using an audio ballot, when
5 the audio ballot is enabled, the screen does
6 go blank as well Wesley mentioned there will
7 be local procedures of how to protect the
8 privacy of the real time audit log when an
9 audio ballot is being used.

10 MR. PEARSON: This is Steve Pearson.
11 One thing we did not demonstrate is the
12 flexibility of the wings. They are intended
13 and by design to provide privacy. They pull
14 in right up to surround the voter if they
15 choose to. So when you're standing in front
16 of the terminal, you bring the wings in tight
17 and it's also if the systems are set up in a
18 manner that they are protected so people
19 aren't walking or loitering and there is
20 traffic behind them, we believe it provides
21 sufficient privacy.

22 MR. WESLEY: Steve, could I also add
23 this has been an issue that has been kind of
24 ongoing and we've been doing some additional
25 research to try to find ways in spite of the

2 things they said we recommend you do, some
3 folks still are looking for additional
4 security. So this is actually a device if
5 anyone wants to try this on the touch screen
6 we're doing the research on that will polarize
7 and only allow you to look in one direction if
8 you get a voter that is concerned about
9 privacy or someone loitering around the area
10 you can lay this on the screen and if you want
11 to try it, you're more than welcome. It will
12 only allow you to view what's on the ballot if
13 you're directly standing over it so that is an
14 option.

15 MR. WOODBRIDGE: I'm going to ask
16 Marge McCabe, what's your experience with
17 this?

18 MS. McCABE: I have a few issues
19 that pertain primarily to handicap voters.
20 The way that our machines are now designed the
21 booths that they sit in, the machines
22 themselves the iVotronic as you can see are
23 about the size and weight of a laptop
24 computer. If a handicapped voter comes in in
25 a wheelchair or a voter is unable to lift his

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

66

2 or her arms to reach the screen, that unit can
3 be unplugged and brought to a table and the
4 voter can sit at the table with a privacy
5 screen and can vote. There are no issues of
6 anyone seeing how they voted at this point. I
7 have a major concern about visually impaired
8 voters and their privacy being compromised
9 with any kind of printer not just in one, but
10 any of the VVPATS that are proposed. I really
11 think that this for a security reason so, and
12 one other big issue if a paper jams and a
13 voter has to call a poll worker over for
14 assistance, the voter's choices are readily
15 viewable on the paper not just were this but
16 with any paper trail that compromises their
17 privacy as well.

18 MR. WOODBRIDGE: That's not peculiar
19 to this machine.

20 MS. McCABE: That's all of them.

21 MR. WOODBRIDGE: Is it possible to
22 add curtains if anyone wanted to?

23 MR. PEARSON: Yes.

24 MS. KLUSKA: If someone were to walk
25 up and help as a poll worker would, those

2 voter selections would be visible.

3 MR. KERRIGANIGAN: It's an error
4 that occurs. The screen would not be showing,
5 they would be prompting something with regard
6 to the error whether there's a printing
7 malfunction or whatever the case may be, the
8 voter privacy wouldn't be prohibited by it or
9 compromised by the terminal but she is correct
10 with our real time audit log you're going to
11 have that line of any selection made the
12 ballot is an impasse, somebody viewing those
13 selections, those current selections have no
14 way of knowing whether it is the final intent.

15 MR. WOODBRIDGE: Even with the
16 mechanical sheet someone needs some assistance
17 with the CLC.

18 MS. McCABE: That's what's stated if
19 there is a mechanical problem the machine goes
20 blank.

21 MR. WOODBRIDGE: If somebody had a
22 problem with the old fashion machine, they
23 came and they would be able to see.

24 MS. McCABE: We don't deal with
25 those. That's why we went to this.

2 MR. KERRIGANIGAN: Another
3 distinction with her current system they are
4 able to remove the unit and you can have
5 what's referred to as curbside voting or in
6 the lab voting with this unit and with it
7 requiring a decast solution that is no longer
8 possible with this solution because as we
9 mentioned if you disconnect the printer the
10 machine shuts down for security purposes. We
11 don't allow any voting to occur without an
12 audit trail, a paper audit trial being
13 produced. So by this legislation being
14 adopted you've eliminated the possibility of
15 disconnecting the unit from the printer.

16 MR. GREENHALGH: Gary Greenhalgh
17 ES&S. In the approximate six elections that
18 you've run in the iVotronic, have there been
19 any real concern with the privacy of the
20 iVotronic?

21 MS. McCABE: Never.

22 MR. GREENHALGH: Good.

23 MR. WOODBRIDGE: Any other
24 questions, thank you. Do you have any
25 comments or opinions, okay. B. 2. The VVPRS

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

69

2 shall be designed to allow the voter to easily
3 review, accept, or reject his or her paper
4 record. Section a. The DRE shall not record
5 the electronic record until the paper record
6 has been approved by the voter. This was
7 noted both of these were noted under section
8 number one on the NJIT report. Comment for
9 the record, Only one paper record (vote
10 summary) is printed per voter. The voter does
11 not have the opportunities to recast ballot up
12 to two additional times as required by the
13 Criteria. The voter has unlimited
14 opportunities to review each individual line
15 as it is printed immediately after each
16 selection, deselection or change. However,
17 undervotes are not printed in that
18 line-by-line printing following the individual
19 selections, deselections or changes, and
20 therefore the voter cannot see or review
21 undervotes at that point on the printout. And
22 last part, the voter can then completely
23 review the completed ballot on the screen and,
24 if acceptable, press the "VOTE" button on top
25 of the DRE screen, causing the ballot to be

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

70

2 cast. The vote summary showing the entire
3 ballot cast is then printed on the paper
4 record, but is not reviewable by the voter,
5 since it rapidly advances to the "take-up"
6 spindle. Even if the voter were able to read
7 the voter summary in that short period of
8 time, there's no mechanism for the voter to
9 reject the paper record and to recast the
10 ballot.

11 MR. KERRIGANIGAN: I think at this
12 point it would be appropriate to make a note
13 or an issue I have with the formality of this
14 test report and I noted this in my exceptions
15 and I'm not trying to be difficult or
16 anything, but it's kind of specific here. I
17 did note an exception, there are eight
18 criteria references and we have three bullet
19 points speaking to them and I would argue and
20 I believe everybody would agree that not all
21 of these listed in the exceptions these
22 criteria points do they truly have exceptions
23 with our system and I'm not sure as to why all
24 eight are listed when it seems the three
25 bullet points that are noting what the

2 exception is seems specific to three
3 particular criteria points. So I'm just
4 worried about the interpretation if someone
5 wants to look at this report and they see
6 eight criteria references and if they add up
7 and the exceptions it would maybe exaggerate
8 the number of criteria that they have
9 exception to. But what I can do is respond --

10 MR. WOODBRIDGE: Comments.

11 MR. KERRIGANIGAN: What I can do is
12 respond to each of the bullets in the first
13 one which is in reference to the RTAL
14 accepting or rejecting the ballots. You've
15 actually explained this the first time, with
16 this type of system there's no need for the
17 recast the ballot. You have unlimited
18 opportunities to change or make selections or
19 deselections. I guess I can just read
20 verbatim what I've previously submitted that
21 the voter does have the opportunity to review,
22 accept or reject each of their selections
23 throughout the entire voting session. Once a
24 voter has made all their selections, they do
25 enter into a review screen that is noted on

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

72

2 the printing log as well and they are then
3 also in that session able to make a number of
4 selections and deselections and all random
5 choices they have made and all these actions
6 are noted on the real time audit log. There
7 is a vote summary at the end which is used for
8 auditing purposes, not necessarily for voting
9 review. We feel that with the way we design
10 our system being a real time audit log we have
11 a designed which provides verification to the
12 voter, provides immediate feedback with
13 immediate action. They are given an
14 opportunity at the end, well actually not an
15 opportunity, its a requirement, our system
16 requires them to review all their selections
17 at end before we allow them to cast the
18 ballot.

19 MR. WOODBRIDGE: The selection goes
20 on the paper or selection goes on the screen.

21 MR. KERRIGANIGAN: Both.
22 Verification of any action and the action is
23 recorded on the paper trail.

24 MR. WOODBRIDGE: How much time do
25 they have to review the summary.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

73

2 MR. KERRIGANIGAN: We do not have a
3 time out. We do not limit the time to a
4 voting session for a voter.

5 MR. WOODBRIDGE: So the voter gets
6 to the end of the vote and is satisfied with
7 the vote, how long do they have to read the
8 summary that the paper trail represents.

9 MR. KERRIGANIGAN: Our machine will
10 not itself discontinue the voting session due
11 to voter inactivity, but what we do have in
12 place we do have a voter I believe it's
13 preprogrammed for three minutes of voter
14 inactivity the machine will begin to chirp
15 audible enough for a voter to hear, the voter
16 will notify that interaction is required by
17 that machine. This could be the case if the
18 machine is abandoned, so at that point the
19 machine would be blank and it would be
20 chirping. The poll worker would insert their
21 PEB and that will take them to a vote cast or
22 cancel. If they select cancel, they will be
23 prompted why they are cancelling the ballot
24 and the ballot would be cancelled and that
25 will be noted to the real time audit log. So

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

74

2 it would be up to legislation on how to handle
3 abandoned ballots whether they are to be cast
4 or cancelled. I'm actually not familiar with
5 New Jersey law, with the procedures.

6 MR. FLEMMING: John Flemming. I
7 think I can answer your question. The
8 printer, you are not able to review at all I
9 think that's what he is asking, the actual
10 summary of the print out, how long does the
11 voter have to review that, the answer to that
12 would be none because it's just scrolling,
13 right?

14 MR. KERRIGANIGAN: The vote screen
15 they only have the time for it to go by. It's
16 not for voter registration purposes.

17 MR. WOODBRIDGE: You press a red
18 button and it scrolls up and disappears.

19 MR. PEARSON: The opportunity to
20 review your ballot before it is cast is on the
21 summary screen as well as any selection or
22 action you've taken on the real time basis
23 with the printer itself.

24 MR. WOODBRIDGE: Could you adjust,
25 for the record, could you adjust the well

2 behind the data summary system to look at
3 that.

4 MR. PEARSON: The system was
5 designed to emulate someone voting with paper
6 or any other device. There is no time
7 limitation. Everybody votes at different
8 speeds and different capabilities with that,
9 so we did not want to put on any restrictions
10 to restrict any type of voter. This would be
11 using the system just like you would with a
12 paper system.

13 MR. MAHONEY: If the attorney
14 general says that the voter has to be able to
15 see the votes in its entirety before it cast
16 any votes, would it be possible for you guys
17 to alter your machines to do that and if it is
18 possible, how long would it take to do that?

19 MR. PEARSON: If I could rephrase
20 your question. What you're asking, we do
21 provide that capability on the summary screen
22 and on the screen itself. What you're asking
23 for us to do then would be to print the
24 summary and allow them the opportunity to
25 review the printed summary as well as what's

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

76

2 on the visual summary.

3 MR. MAHONEY: And then cast their
4 vote if they are satisfied.

5 MR. PEARSON: And then cast their
6 vote. That is a feature that could be
7 implemented. It would require modification of
8 the system if that were the case.

9 MR. GREENHALGH: Gary Greenhalgh of
10 ES&S. The real problem we have there is the
11 length of the ballot because if the ballot is
12 beyond the size of that screen, you won't be
13 able to see the entire ballot beyond it. It's
14 all the function of the ballot that the voter
15 is voting on. Some of the states, I know West
16 Virginia has a very, very long ballot.
17 There's no way you could get the summary on
18 any printer because the thing would be about
19 eight feet long. That's the problem.

20 MS. McCABE: Marge McCabe, Sussex
21 County. I think the problem we have is not so
22 much with the machine as the legislation. At
23 least 18 of our counties have full faced
24 screens without a summary opportunity on the
25 DRE itself and the legislation I believe was

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

77

2 designed based on that criteria. No one came
3 to me and said, how does your machine work
4 before this legislation was passed.

5 MR. WOODBRIDGE: Keeping in mind
6 it's not the purpose of this committee to have
7 anything to do with criteria. As a matter of
8 fact, we really should try to keep our
9 distance from those issues.

10 MS. McCABE: I understand that, but
11 we do have a summary --

12 MR. WOODBRIDGE: Okay.

13 MS. McCABE: -- that others do not
14 have.

15 MR. WOODBRIDGE: To address your
16 comment, Kevin, which was I think the number
17 of exceptions, we will cover 11 exceptions
18 here, so I think that's what people should key
19 on, not just on what NJIT has acquired, I
20 think that's how the committee looks at it
21 more than anything else. Mr. Darer, you have
22 a comment.

23 MR. DARER: When everybody else has
24 a chance I will try to conclude.

25 We're just specific specifically to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

78

2 voter I'm specific to one and certainly
3 apologies if anything we've written isn't
4 exactly clear. First comment applies to all
5 the exceptions, every criteria section,
6 subsection cited has been not met by the
7 bullets below. It may not be a one-to-one
8 match in this case there are eight criteria
9 sections that have not been met by three of
10 the observations and findings that we have
11 below and here is why we feel why. There are
12 criteria in all these different places refers
13 to the voter has to have the opportunity to
14 review the paper record and to say, yup, it
15 reflects my vote should it or it doesn't, let
16 me try again. The paper record in the
17 criteria is defined as the piece of paper
18 where the choices are recorded cast and
19 preserved, so that's the summary. It's not
20 the ins and out or chicken scratches or the
21 pluses or minus that came before it and that
22 under that definition and our interpretation
23 of it the voter having to have the opportunity
24 to review the paper record, none of these
25 criteria sections are met and even if the

2 voter had three minutes to look at that last
3 summary there's no mechanism for rejecting and
4 voting again.

5 MR. WOODBRIDGE: Right.

6 MR. DARER: And the last, someone
7 mentioned what if it doesn't fit and that's
8 addressed in the criteria too, that capability
9 has to be there to handle if it takes multiple
10 windows or some mechanism to do that.

11 MR. WOODBRIDGE: While we have you
12 on the stand here, do you have any idea how
13 long a typical voter record is to a voter on a
14 machine like this?

15 MR. DARER: That's probably how we
16 got to the 120 votes off the length of the
17 roll. I'd have to do some math.

18 MR. WOODBRIDGE: We don't need the
19 answer right now.

20 MR. DARER: I do know and it's later
21 on --

22 MR. WOODBRIDGE: Two feet per order,
23 does that?

24 MR. DARER: Each selection,
25 deselection or change generates one line or

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

80

2 two lines of print, plus a blank space equal
3 to a few lines in there and then there is the
4 summary and we saw three barcodes come out. I
5 don't know what that comes to.

6 MR. WOODBRIDGE: Perhaps we will do
7 the math afterwards. This is a 300-foot roll,
8 you have 120 votes.

9 MR. DARER: 3600 inches.

10 MR. KERRIGANIGAN: The distinction
11 made here while on trying to determine that
12 number which is discussed, one you can't
13 determine voter activity. It's difficult to
14 determine that. We don't have a standard
15 receipt, it's a real time audit log. The
16 election sites can vary per election obviously
17 and that is going to alter your number when
18 trying to come up with the magic number per
19 voter as well as our programmable window
20 versus a nine inch window.

21 MR. WOODBRIDGE: You have a 300-foot
22 roll and help me out, you have 120 votes
23 average so you're talking over two feet of
24 paper per voter.

25 MR. DARER: I would agree with you,

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

81

2 but in theory and in our testing but it really
3 depends on the size of the ballot, if the
4 voter gets in and out, if there's lots of
5 changes, but it seems the impression one can
6 discuss what the number is but the impression
7 is it takes a lot of paper.

8 MR. WOODBRIDGE: Fair enough.

9 MR. PEARSON: This is Steve Pearson
10 and I do want to address the criteria of Title
11 3.0.9 which is III B. 2 where it states, If
12 the paper record cannot be viewed entirely in
13 the Display Unit at one time, referring to the
14 paper record display unit, the voter shall
15 have the opportunity to verify the entire
16 paper record prior to the electronic or paper
17 ballot being stored and recorded. NJIT has
18 cited this as a non compliant issue. We
19 interpret that as we are absolutely compliant
20 to that. Their interpretation, you have to
21 provide a summary and view the entire summary
22 but the language does not state that you have
23 to provide a summary. It states that if the
24 paper record cannot be viewed entirely and
25 Display Unit in this case with this device at

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

82

2 one time the voter shall have the opportunity
3 to verify the entire paper record prior to the
4 electronic or paper ballot being stored and
5 recorded.

6 MR. WOODBRIDGE: Absolutely. You're
7 ahead of where we are. We're actually going
8 through the statute rather than the NJIT
9 comments. We will get to that.

10 MR. PEARSON: That is kind of a
11 rebuttal. It lapses.

12 MR. DARER: I have some additional
13 information. Let's continue with this. The
14 first ballot, the printed ballot on this roll
15 is the short ballot with no changes or
16 deselections and it's 27 inches and it is
17 something to be looked at. The last point I
18 don't think got mentioned in the discussion of
19 the exception one was the fact about
20 undervotes. I don't think undervotes got
21 mentioned here.

22 MR. KERRIGANIGAN: That was the next
23 bullet point.

24 MR. DARER: We're not completely
25 done with one.

2 MR. WOODBRIDGE: We have two more
3 bullet points to deal with in regard to this.
4 It's a little bit complicated the way the we
5 will read the statute and each part of the
6 criteria and so these things may come up again
7 and your comments vis-a-vis the III B. 2. will
8 come up again at that stage. You want to
9 continue with your comments?

10 MR. KERRIGANIGAN: In my bullet
11 point two I believe is a later criteria.
12 We're not at the undervote section of the
13 criteria if I'm correct, are we on B.2.A.

14 THE COURT: We're on B.2 and B.2.A.

15 MR. KERRIGANIGAN: Which this does
16 not mention the undervotes, so I believe we
17 will address that later.

18 MR. WOODBRIDGE: Okay. And also
19 there's an issue on the third bullet too. You
20 want to take that up, discuss that? We talked
21 a little bit about the ability or inability
22 perhaps to read the summary.

23 MR. KERRIGANIGAN: It's kind of back
24 to what Steve was just mentioning. We feel
25 we're compliant to the language on the ability

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

84

2 for voter to review because we provide that
3 immediate verification as opposed to a design
4 and some of the legislation may seem a little
5 bit like it's worded toward the design of the
6 printers which is in reference to it being
7 viewed at the end which is allowed in the
8 verbiage of the criteria contract for reel to
9 reel. It doesn't work like that it's real
10 time verification of any selection. So, in
11 other words with the verbiage as written they
12 must be able to view everything before
13 casting. We are compliant because they have
14 been showing everything prior to being casted
15 plus multiple opportunity to change any
16 selections and again be provided paper
17 verification of that change.

18 MR. WOODBRIDGE: One point of
19 clarification. Do I understand correctly that
20 there are nine states that use this paper
21 trail system; is that correct?

22 MR. KERRIGANIGAN: Yes.

23 MR. PEARSON: We're certified in
24 nine states with real time audit log system.

25 MR. WOODBRIDGE: You say eight of

2 them had previously used --

3 MR. PEARSON: That's conjecture. I
4 believe there's eight. I don't recall. I
5 have to go back and see. Some of the states
6 have been implemented and used in election of
7 those nine.

8 MR. KERRIGANIGAN: This is the first
9 state level. It's certainly in federal
10 testing but this version of it is not
11 implemented anywhere.

12 MR. WOODBRIDGE: It's just about,
13 actually a little bit after twelve. Why don't
14 we take a break for an hour, reconvene here
15 let's make it five minutes after one and take
16 a break for lunch. Then we'll start up from
17 where we left off. We'll start up with
18 section B3.

19 MS. McCABE: If I may, we have a
20 hand out that we would like to give everyone
21 that just reviews our testing and validation.

22 MR. WOODBRIDGE: You can do that now
23 or if you wanted to give it out, you could
24 place it on the back table.

25 (At which time a luncheon recess was

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

86

2 taken.)

3 (Time noted: 12:05 p.m.)

4 - - -

5 A F T E R N O O N S E S S I O N

6 (Time noted: 1:12 p.m.)

7 MR. WOODBRIDGE: We're going to go
8 back on the record. We have a special request
9 from an individual who wants to make a
10 comment. When she comes back, we'll take her.
11 Why don't we start where we had left off and I
12 believe, John, you had some comments on
13 section 2A before we get to section three.

14 MR. FLEMMING: I just want to make
15 sure I understand your position with 2 and 2A.
16 As it states that the VVPRS is designed to
17 easily review, reject his or her paper record
18 and I'm trying to understand where you see
19 that the voter does that?

20 MR. PEARSON: Let me catch up.

21 MR. WOODBRIDGE: We'll take you in a
22 minute.

23 MR. PEARSON: Could you repeat your
24 question.

25 MR. FLEMMING: Go to Criteria Two.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

87

2 Based on what it states is the VVPRS shall be
3 designed to allow the voter to easily review,
4 accept or reject his or her paper record. And
5 I'm trying to find out where you believe that
6 that is accomplished in your implementation in
7 this. I can understand how it is
8 electronically, that makes all the sense. I'm
9 not sure, I want to make sure I'm not missing
10 something.

11 MR. PEARSON: There was specifically
12 with the real time audit log system the voters
13 provided to me.

14 MR. FLEMMING: For each vote never
15 or ever it will accept or reject, you don't
16 vote on, correct.

17 MR. PEARSON: Yes, they are. As
18 they go through and when they get to the
19 summary portion that is when they are given
20 the opportunity to ensure first of all we
21 ensure that they have seen all the races and
22 that's where they would have opportunity to
23 either choose to go back in and modify or
24 elect to not vote.

25 MR. FLEMMING: Electronically I

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

88

2 could see that you do a good job in that, but
3 the way it's written I want to know, you could
4 do that paper, think of it as two separate --

5 MR. PEARSON: Which specific
6 criteria are you referring to. 2.09 is that
7 the criteria sheet that we're working, through
8 or.

9 MR. WOODBRIDGE: I think
10 Mr. Flemming is going back to section B.2.A.

11 MR. PEARSON: 2.B.2.

12 MR. FLEMMING: 2.B.2, yes. Actually
13 I was reading two.

14 MR. PEARSON: Are we working from
15 this sheet?

16 MR. FLEMMING: I'm working from the
17 criteria sheet. My argument was on that, is
18 there a provision in this statute and that's
19 where I was kind of jumping ahead. You
20 cautioned me to not jump ahead, that's where I
21 read point 09 where it was 3B3 where it
22 states, if the paper record cannot be viewed
23 entirely in the Display Unit at one time --

24 MR. PEARSON: The voter shall have
25 the opportunity to verify the entire paper

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

89

2 record prior to the electronic or the paper
3 ballot being stored or recorded. We comply
4 with that because they have been given that
5 opportunity to review the entire paper record
6 up to that point to where they're ready they
7 have had that opportunity at every juncture
8 right before they push the vote button.

9 MR. FLEMMING: If they made a
10 selection on anything they left out, they have
11 not verified that they have left it out on
12 paper.

13 MR. PEARSON: The system notifies
14 you of undervotes, that's the undervote
15 protection. Anything you have not voted on it
16 shows you that. It tells you that.

17 MR. FLEMMING: Electronically, not
18 on paper.

19 MR. KERRIGANIGAN: The lack of any
20 selection in that contest indicates a number
21 of voters, that's for the real time portion.
22 Then of course there's a vote portion for
23 auditing services.

24 MR. FLEMMING: I understand that's
25 where you would see that, but the voter would

2 not see that.

3 MR. PEARSON: So you're asking that
4 a system tell the voter, tell the voter every
5 opportunity they didn't select.

6 MR. FLEMMING: On paper not as
7 opposed to in addition to.

8 MR. PEARSON: So every undervote
9 situation scenario you're asking for on paper
10 that that system could tell the voter.

11 MR. FLEMMING: The way I interpret
12 this piece of it is that your summary as it is
13 printed out is what the voter needs to be able
14 to verify before the vote gets cast.

15 MR. PEARSON: Yes.

16 MR. FLEMMING: The one that slides
17 through, the voter cannot see needs to be able
18 to see and not cast until they could see that
19 and have a chance to change it.

20 MR. PEARSON: That's what I was
21 pointing to the criteria 3.09 it allows for a
22 system that don't display the entire.

23 MR. FLEMMING: So they would have a
24 multi-page in other words if it's three pages
25 long, would you come up the first nine inches

2 to be able to verify your votes.

3 MR. PEARSON: But it doesn't say
4 that in language that it's summary. It says
5 they have the opportunity to review prior to
6 casting the electronic vote. That's what that
7 says. It doesn't assume that it's a summary.

8 MR. KERRIGANIGAN: I suppose if
9 we're speaking correctly to B2 in question
10 here. First of all, it is qualified by the
11 subset A which does say, the DRE shall not
12 record the electronic record until the paper
13 record has been approved by the voter. Our
14 approval process is a constant process because
15 it's a real time verification. So that's, I
16 believe we are not in argument on the ability
17 to review our system or accept. I think your
18 direct controversy here is how could you deny
19 that record and our opportunity for the voter
20 to deny before casting their vote is that they
21 are given paper verification of any actually
22 made and if they don't like what they saw
23 verified on the paper, they could make an
24 alteration on the touch. So that's the
25 exception when reviewing and rejecting the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

92

2 statement.

3 MR. FLEMMING: My concern is that it
4 is not a full set of their votes.

5 MR. KERRIGANIGAN: That would be a
6 receipt.

7 MR. FLEMMING: I'm just thinking as
8 it is written trying to fit it into where you
9 have it.

10 MR. ANSARI: Which we fully meet the
11 criteria what we're speaking specifically to
12 right now even subset A qualifying that voter
13 should either accept or reject, they have an
14 opportunity to do all of those things.

15 MR. FLEMMING: You're missing the
16 last two words accept and reject.

17 MR. KERRIGAN: They disagree.

18 MR. FLEMMING: But you're basing it
19 on the electronic side of it.

20 MR. KERRIGAN: On the paper record.
21 If I select Randall as one of the candidates
22 for president, I see it on paper record. If I
23 don't want that, I wish to reject that option
24 on the paper, I deselect it. When you saw I
25 changed selections it will show a negation of

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

93

2 Randall's selection as well as the new
3 selection that I've made because it's a real
4 time audit log, we track every action.
5 There's an audit trail of every action
6 made.

7 MR. FLEMMING: How does a voter
8 surely by paper, not electronic, notify that
9 they did not vote for either a question or a
10 contest.

11 MR. KERRIGAN: Undervote in my eye
12 would be defined as lack of action and our
13 printer is recording action. If there's no
14 action recorded on a contest, you have
15 undervote. An undervote technically can't be
16 committed until you cast a ballot because
17 until that point it's a contest that hasn't
18 been interacted with. We would agree an
19 undervote cannot be committed until a vote is
20 cast. It's equivocal you can't alter your
21 choices. So, I personally have trouble with
22 the wording of being able to verify your
23 undervotes and make an alteration after that
24 because an undervote cannot be committed until
25 it is actually cast and at that point it can

2 be altered, but I still stick to the point we
3 monitor all actions. An undervote could be
4 recognized on a paper trail by a lack of
5 action recorded in that contest.

6 MR. WOODBRIDGE: If I could make a
7 point. Some of the things we're talking about
8 here and particularly seeing a paper record
9 and how many times it comes up, comes up more
10 particularly later on in criteria and these
11 are sort of more general comments. So you
12 might want to move along to get to those
13 specific issues. Undervotes always come up as
14 being specific too, just on the thought that
15 would be more appropriate trying to deal with
16 what you're dealing with, I think. We
17 normally don't do this. We do have a special
18 request from an individual due to other
19 obligations only have a short period of time
20 and promises is going to be a five minute
21 presentation. So I'm going to ask Stephanie
22 Harris to make your presentation.

23 MS. HARRIS: Thank you and thank you
24 for making this exception for me. We only
25 found out about this hearing yesterday, so I

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

95

2 was unable to rearrange my schedule so thank
3 you. While we are pleased by the more
4 thorough certification process for the
5 printers, we at the Coalition for Peace Action
6 continue to protest attaching a certified
7 printer to an electronic voting machine which
8 has not been certified to 2005 standards. We
9 further object to privatizing the vote by the
10 not having an open source code. We do not
11 understand why this committee has not been
12 empowered to review other technologies such as
13 presynced based optical scan simultaneously to
14 the certification of the DRE printers. Having
15 tried the ES&S DRE and printer, I would concur
16 that the real time audit log as configured
17 here does not truly meet the requirements of
18 being a VVPAT. The voter must be able to see
19 a printed summary of the ballot decisions for
20 more than ten seconds and have an opportunity
21 to change the paper ballot which will
22 ultimately become the paper ballot of record.

23 Furthermore, because of voting
24 privacy issues, the reel-to-reel printer is
25 not acceptable in New Jersey. Moreover, the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

96

2 paper roll is very short just allowing 70
3 votes and would have to be continuously
4 changed during the course of election day. It
5 does not only require enough poll workers to
6 perform this task, but also raises the
7 question of the added security steps necessary
8 in the chain of custody. The universal key to
9 open the printer is another source of
10 insecurity. Finally, the lack of notification
11 of a paper jam is unacceptable. If voters are
12 inattentive and a paper jam occurs, their
13 votes would become illegible and would be lost
14 in a recount or audit.

15 In conclusion, we have not yet seen
16 any VVPAT technology presented to this
17 committee which has been acceptable. And we
18 request that alternative technologies be
19 sought out for certification in the State of
20 New Jersey in order to give counties a real
21 choice of how to meet the mandate of the law
22 and provide a VVPAT by 2008. And once again
23 thank you so much for hearing my words.

24 MR. WOODBRIDGE: Thank you
25 Stephanie. We appreciate your input. Just

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

97

2 one question. We have provided a log
3 documentation including machine code and
4 Miss Harris brought up the question of open
5 source. Did we see all the coded machines.
6 What did we see, do you know?

7 MR. KERRIGAN: I don't believe we
8 released any source code in our documentation.
9 We would have provided our standard TDP which
10 includes user manual, maintenance, manufacture
11 software specifics but I don't believe the
12 source code was required.

13 MR. WOODBRIDGE: It looked a little
14 bit like a code to me but I couldn't tell
15 precisely what the purpose was.

16 MR. KERRIGAN: And NJIT reviewed and
17 was given all the same documentation and they
18 probably can verify they did not receive
19 source code.

20 MR. WOODBRIDGE: Other states
21 require code escrow of some sort.

22 MR. PEARSON: Correct.

23 MR. WOODBRIDGE: Is that the case of
24 ES&S.

25 MR. GREENHALGH: That's correct. A

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

98

2 number of states require the source code to be
3 escrowed in an escrow account approved of by
4 the state.

5 MR. WOODBRIDGE: Okay. Slow down a
6 little bit. We need to pick up the pace a
7 little bit. We're onto Section B3A. This is
8 not a count, but section B3B says, Continuous
9 Spool. Method: The voter views the paper
10 record on a spool-to-spool paper roll. This
11 method shall be used in a manner that fully
12 protects the secrecy of all votes cast. This
13 is also subject to exception number two that
14 we read before and the exception number five
15 raised by NJIT. In regards to the criteria.

16 MR. KERRIGAN: This doesn't meet
17 criteria which were cited in the exceptions
18 that I don't think are applicable in the
19 exceptions itself. For instance, this is
20 simply stating the spool will be used we have
21 continuous spools. The only qualification in
22 this criteria is it has to be used in a manner
23 that fully protects us of all modes and I
24 think in the overview it showed the physical
25 security around the system.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

99

2 MR. WOODBRIDGE: With regard to
3 Exception Number Five, the two bullet points
4 reads, first one, the roll of printed paper
5 records is accessible upon unlocking the
6 printer cover. Second part, the cable
7 connecting the VPRS to the DRE is exposed and
8 can be easily disconnected from the printer
9 port on the top of DRE. I think this was one
10 of the issues with regard to security. And
11 would you care to address that, Mr. Kerrigan?

12 MR. KERRIGAN: Yes. One of the
13 comments we made in the exception in our
14 response to the exception as pointed out
15 during the demo, they did mention that it is
16 behind a lock and key mechanism. I do have a
17 bit of trouble with the wording. That first
18 bullet could have been worded, the roll of
19 printed records is not acceptable without a
20 lock and key. That change of verbiage kind of
21 shows that someone cannot have access to the
22 printer without the key which is to be
23 maintained by the authorized personnel. I
24 believe the first one is stating how we are
25 compliant to the standard which is requiring

2 physical restriction to the system. We do
3 have a lock and key mechanism and we do
4 encourage the use of security tamper emphasis.

5 MR. WOODBRIDGE: Now we may address,
6 we're jumping ahead and maybe Mr. Darer may
7 want to amplify things but I think one of the
8 concerns may be you actually have poll workers
9 physically touching the ballot results. We've
10 seen in other vendors where for example, the
11 rolls are protected in a cartridge where you
12 don't see it change the cartridge. I see your
13 head nodding in an up and down direction there
14 I think that's probably the issues they may be
15 addressing.

16 MR. KERRIGAN: Again there is a
17 manual procedure. The most common reason you
18 would even open up the printer if you did have
19 to replace the reel, all the results are
20 backwards facing onto the reel so they are not
21 facing outward, they are facing inward on the
22 reel so you are able to remove that used
23 portion or that take up reel without ever
24 viewing the results so that would be a manual
25 procedure for them, for you to be able to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

101

2 trust they are not then going to unravel the
3 take up reel and begin looking at the results.
4 I believe Wesley with the help of the Sussex
5 County people that are here spoke a bit about
6 the procedures without the system being
7 implemented here it's not really a New Jersey
8 example, but in west Virginia they would be
9 taking that take up reel place it in an
10 envelope for any sort of oddity that may be
11 done on that reel. In other words I've spoken
12 to the physical restriction of the system and
13 there are manual procedures on securing that
14 reel.

15 MS. McCABE: Marge McCabe from
16 Sussex County. I think those procedures need
17 to be dealt with on a local basis as far as
18 security issues on the poll. Anything that
19 happens with our voting machine is done by a
20 republican and democratic worker together. If
21 those roles have to be changed it would be
22 part of our criteria that two poll workers go
23 together and would put a tampered evidence
24 seal at the end of the roll before it is
25 stored away in a sealed packet.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

102

2 MR. WOODBRIDGE: I think you would
3 want to try to keep the audience question
4 until at the end if that's okay. Would you
5 care to address the issue of printer cables at
6 the top of the machine; one is a power cable,
7 one is a printer cable.

8 MR. KERRIGAN: Both of which can be
9 secured down with the use of tamper evidence
10 seals that would just enable you to be able to
11 verify if anybody does tamper with your cords.
12 If someone does break a seal and removes
13 either one of those accessible cords, at that
14 point there's no loss taken to the votes. The
15 votes are secured behind a separate sliding
16 door which a wire seal can be placed over.
17 What the result of disconnecting the printer
18 would lock down the machine. The machine when
19 programmed for use with an RTAL printer does
20 not operate when the printer if that
21 communication line is broken the machine cease
22 as a function. So somebody who would tamper
23 with that cord would not have any vote casting
24 ability, nor have access to the votes that are
25 stored internally. It's like a power cord. I

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

103

2 mentioned during the demo it does run on
3 battery power. It's able to transition
4 seamlessly from AC to DC power. So if you
5 lost power that doesn't tamper your voting
6 session. There's no integrity to the voting
7 session.

8 MR. WOODBRIDGE: How come they are
9 on the back of the machine, not on the front.

10 MR. KERRIGAN: Design choice made.
11 I can't speak to that.

12 MR. WOODBRIDGE: Seems to be a lot
13 cleaner if they weren't toward the audience
14 like that, but.

15 MR. KERRIGAN: Also in the original
16 booth configuration it wasn't necessarily ADA
17 compliant but the machine was more of you look
18 down at it and those cords would have been
19 towards the back of an enclosed in booth that
20 have walls on both sides and those cords would
21 have been toward the back of that set up, so,
22 this is kind of evolution of a new move to
23 incorporate real time audit log so this design
24 wasn't necessarily for this just the evolution
25 that goes with the legislation.

2 MR. MAHONEY: If the power cord has
3 been moved or loose, does it give a warning so
4 they know this before the battery goes?

5 MR. KERRIGAN: That's one nice thing
6 about our implementation of the system being a
7 forward graph dated. We have constant polling
8 official interaction with the machine and it
9 is indicated on the machine at all times
10 during that open screen machine whether it's
11 on AC or on batteries and there also is a low
12 battery indicator. If the battery does get
13 low it's not recognized it's on battery if the
14 machine determines there's not enough power to
15 complete a voting session, it doesn't allow
16 one to begin. There are warning messages
17 leading up to that saying you're on low but we
18 are going to allow you to vote. Then there's
19 that one final critical one because it's at a
20 risk of not being over finished.

21 MR. WOODBRIDGE: Section B 4 and 5
22 together it's sort of the same exception. B4,
23 No electronic paper record shall indicate the
24 identity of the voter or be maintained in a
25 way that allows a voter to be identified. B5.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

105

2 The electronic and paper records shall be
3 created and stored in ways that preserve the
4 privacy of the record. We have Exception
5 Number Three in both cases here which reads,
6 Once the voter presses the quote "VOTE"
7 unquote button to cast the ballot, the printer
8 prints out the vote summary with the exact
9 date and time of the voting session on the
10 paper record. If this timestamp information
11 is compared to the Poll Log which records the
12 time when the voter checks in, the paper
13 ballot record could be matched to the specific
14 voter, therefore compromising voter privacy.
15 I see what this means is that when the voter
16 comes in sequence A through Z or one through
17 200, that the audit trail keeps the record in
18 that same sequence; is that a correct
19 statement?

20 MR. KERRIGAN: I didn't completely
21 follow your scenario there.

22 MR. WOODBRIDGE: I'm just saying the
23 issue that they are getting to in regard to
24 Exception Number Three if I understand it
25 correctly is that the audit, the paper audit

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

106

2 trail is kept at the exact same sequence as
3 the voter that comes in. It's possible to
4 reverse engineer if you have the Poll Log, you
5 have the ballot what you can do and what you
6 can't do.

7 MR. KERRIGAN: I believe that's what
8 they are proposing but in reference to this
9 exception, in the version that's going through
10 federal testing the version we spoke to
11 implement in the State of New Jersey the
12 version of 9200 the time date stamp has been
13 taken off the printer.

14 MR. WOODBRIDGE: Okay.

15 MR. KERRIGAN: I did have one
16 question I never got to address was whether it
17 was legally allowed to record the time that
18 the voter checks in at the registration. I
19 never found out. I don't know if Sussex
20 County could say whether that's a common
21 practice to record the actual the time.

22 MR. WOODBRIDGE: The problem is what
23 happens and I can't speak for Sussex County
24 but you come and you vote if you're the 30th
25 voter, you have a piece of paper that has a

2 30. The person runs the machine that puts it
3 on a spindle so they know where you are in
4 sequence.

5 MR. PEARSON: That would be you have
6 one device and also there was no interaction
7 of the poll workers or voters used for
8 multiple machines, theoretically you can run
9 it randomly and not trace it back, but rather
10 than belabor this issue we chose to go ahead
11 and move that from the firm ware.

12 MR. WOODBRIDGE: Taking the date
13 stamp off was part of the problem. Part of
14 the other issue was the broken sequence that
15 shows up in a log that way. You have to have
16 more than one machine, it helps.

17 MS. McCABE: We have between two and
18 five.

19 THE COURT: We have two sets of
20 machines depending on the district it could be
21 two machine.

22 MR. PEARSON: I think that perceived
23 problem is more pronounced in low turnouts.
24 elections. In electronic voting, we have the
25 same challenge as well as your traditional

2 paper optical scanning systems where you have
3 low turn outs too. You have that same issue
4 really with any voting system so you need to
5 implement procedures that help protect the
6 voter.

7 MR. WOODBRIDGE: Any other comments
8 on those.

9 MR. DARER: No.

10 MR. WOODBRIDGE: B6. The VVPRS
11 components shall conform to federal and state
12 accessibility requirements. They have all
13 seen and testified this morning with regard to
14 that issue. Six A. These requirements shall
15 include, but not be limited to, an audio
16 component that shall accurately relay the
17 information printed on the paper ballot to the
18 voter. And we seen the demonstration of that
19 too. Seven: The VVPRS device shall draw its
20 power from the DRE or the same electrical
21 circuit from which the DRE draws its power.

22 MR. KERRIGAN: They both are plugged
23 into the same surge protection. It's viewable
24 from the back. The way we have these set up
25 right now or at least originally I don't know

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

109

2 if they stayed that way, you're able to daisy
3 chain them and they are all technically able
4 to run off surge protector. We can have up to
5 12 units being plugged into a line. They can
6 all run on the same line.

7 MR. WOODBRIDGE: If that's the case,
8 if the machines go down, does it go on the
9 same battery.

10 MR. KERRIGAN: If you lose AC power
11 they would all be run independently on a
12 battery. This is not a network system use of
13 a daisy chain. This is independent of the
14 hardware itself. You're just literally
15 plugging into each other's surge protector.

16 MR. WOODBRIDGE: Eight, The voting
17 machine shall provide a standard, publicly
18 documented printer port, or the equivalent,
19 using a standard communication protocol.

20 MR. KERRIGAN: And we have a serial
21 port that is standard I believe NJIT noted the
22 exact cord number RS32 that is our cord for
23 the printer.

24 MR. WOODBRIDGE: Nine is, The VVPRS
25 shall mark the paper record precisely as

2 indicated by the voter on the DRE and produce
3 an accurate paper record and corresponding
4 electronic record of all votes.

5 MR. KERRIGAN: Compliant.

6 MR. WOODBRIDGE: Ten, The DRE
7 electronic ballot image records shall include
8 all votes cast by the voter, including
9 write-ins and undervotes.

10 A. Write in votes are votes cast by
11 a voter for an individual not listed on the
12 ballot as a formal candidate.

13 B. Undervotes are elective
14 officials and/or public questions on the
15 ballot for which the voter has not cast a
16 vote.

17 MR. KERRIGAN: All of our ballot
18 images are recorded to the auditaudit file
19 which is on a flash.

20 MR. WOODBRIDGE: Just a question on
21 the voter image. What kind of image is it?
22 Is it a PDF which is it?

23 MR. KERRIGAN: It is not an image
24 where it's a snapshot. It's simply
25 unformatted text laid out and it highlights

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

111

2 the selections. It just notes the selections
3 made by the voter.

4 MR. WOODBRIDGE: So it's an image in
5 the sense it's a duplicate of the record of
6 what's printed. John, I think you have some
7 questions on undervotes. I don't know if you
8 want to deal with that issue.

9 MR. FLEMMING: On ten, not yet.

10 MR. WOODBRIDGE: Let's go to eleven.
11 An electronic ballot image record shall have a
12 corresponding paper record. The paper record
13 shall be printed and the voter shall have the
14 opportunity to verify the paper record in its
15 totality prior to the final electronic record
16 being recorded.

17 B. The DRE electronic ballot image
18 record shall correspond to the paper record in
19 a manner that does not reveal the voter's
20 identity.

21 C. The paper record shall contain
22 all voter selection information stored in the
23 electronic ballot image record. And just to
24 come back for a second, I think you just
25 testified they are planning on moving the date

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

112

2 stamped on the record.

3 MR. PEARSON: It is removed.

4 MR. FLEMMING: Going to Eleven A
5 basically what it's saying, the paper record
6 in its totality prior to the final election
7 recorded which would for me mean that it would
8 be the whole selection on the paper before you
9 actually hit the last portion to get the vote
10 to the record.

11 MR. KERRIGAN: I think you're
12 assuming it all has to occur at the same time.
13 You're saying you have to be able to paper
14 record it in its totality all at the same
15 time. We do not take that interpretation, we
16 do allow the voter to verify the entire
17 record, the entire paper record when they get
18 cast and their vote is cast they have viewed
19 everything that is printed to the log, they
20 have the opportunity to view.

21 MR. FLEMMING: On paper prior to
22 getting the vote they are not given the
23 opportunity to show them on paper that they
24 have any votes that they have not voted on.

25 MR. PEARSON: This language does not

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

113

2 address undervotes.

3 MR. FLEMMING: Let's take the
4 undervotes out of there. How is your paper
5 showing the voter every candidate that they
6 voted for and I want to take undervote word
7 out of here having a non vote for a candidate.
8 How does your paper show exactly because
9 really if you think about it if a person votes
10 or decides not to vote for a candidate or an
11 election, that's the same as voting and that's
12 your decision to either vote or not vote and
13 what I'm trying to figure out is the whole
14 thing here is voter verifiable paper trail
15 which is the intention of the voter for every
16 contest along the line so that they could see
17 that prior to that last vote actually once you
18 go on here it will actually ask you, you have
19 three chances at that. So not only do we have
20 the first one but we have that multiple time
21 until you hit that last final vote and it's
22 really to make sure this whole thing in my
23 mind is to make sure the voter is comfortable
24 that who they voted for electronically and
25 electronically I whole heartedly understand

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

114

2 everything is shown to them, but this hearing
3 is more on the paper side. How are we showing
4 them all their intentions.

5 MR. PEARSON: I think this would be
6 a good time to show you the iVotronic. Go
7 ahead, Kevin. I would like to bring it back
8 to the language and not make any other broader
9 interpretation of what the language
10 requirement states. I think it is an
11 interpretation issue and obviously we believe
12 we comply with this language in Eleven A.

13 MR. KERRIGAN: I would mention the
14 real time audit log provides comfort that
15 everything they are doing is being captured
16 electronically that they have a paper
17 verification of that and the usability studies
18 that were conducted at the birth of this type
19 of technology it was found that with the real
20 time audit log we have a far less need to have
21 to educate voters on adding another system or
22 a receipt at the end, for instance, that would
23 alter the use of DRE as it is today. For
24 instance, for Sussex County if they
25 implemented the RTAL printer, they would not

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

115

2 have to change anything. They are currently
3 using that system, all it is now you have
4 verification immediately on the side of the
5 paper of everything that you've already been
6 doing for years in that county. So there's no
7 learning curve for the voter. There's no
8 extra process and there's no casting or
9 proceeding. They are providing a real time
10 record of every action so that I would like to
11 go onto the other issue, but we will address
12 undervote when it comes up.

13 To this language we are compliant
14 that we allow them to review everything
15 printed on paper.

16 MR. PEARSON: In its totality prior
17 to electronic record being recorded.

18 MR. KERRIGAN: And therefore to
19 offer selections and see that on paper and
20 verify it again.

21 MR. WOODBRIDGE: I think John
22 mentioned before this issue of how many
23 ballots you get actually comes up later on. I
24 think on page eight, so we're getting into the
25 nitty-gritty a little more when we get at that

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

116

2 stage. Any other comments on section eleven?
3 If not, we're going to start getting into some
4 heavier water. The design requirement for
5 VVPRS. The printer shall be designed to have
6 a sufficient amount of paper, ink, toner,
7 ribbon or like supply for use in an election,
8 taking into account an election district
9 should have at least one voting machine per
10 750 registered voters. I stop there. That
11 relates to Section Number Four and that states
12 as follows. Paper replacement is expected for
13 an election with more than 120 votes. Each
14 selection, deselection or change generates one
15 or two lines of print plus blank space equal
16 to approximately four lines. I should say
17 this issue came up in July when we spoke to
18 other vendors and the first question was, did
19 your machine have to be able to accommodate
20 750 voters before you changed its paper and I
21 think subject to committee's improving my
22 memory on this, I think we ultimately decided
23 it didn't state specifically that we had to go
24 through 750 votes before you changed paper.
25 That is one interpretation of it. And I think

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

117

2 maybe part of what they are getting at here
3 and Mitch, feel free to jump in if you wanted,
4 I think that's primarily what you were talking
5 about in this particular exception simply what
6 we have seen in a couple of those machines.

7 MR. DARER: Yes, but I would say 140
8 votes can go by pretty quickly. It does seem
9 to me what the average machine, maybe it isn't
10 750 registered voters which may be on a high
11 side, it still looks to me you are going to
12 change that machine six times during a 12, 14
13 session voting period I would think.

14 MR. KERRIGAN: If I may, two
15 comments on this. First I would just like to
16 read our response to this exception where we
17 do feel the NJIT assertion that the paper will
18 last for 120 voters is subjective and
19 misleading. We spoke about why that number
20 can toggle, but the amount of paper used will
21 vary on voter activity which includes number
22 of voters, length of the ballot therefore the
23 amount of voters per roll of paper varies from
24 election to election and from voter to voter.
25 As you've already mentioned, we do also feel

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

118

2 that the regulation do not state the paper
3 roll must accommodate 750 votes, but in terms
4 of how many voters can vote on a machine, I
5 will disagree it's 120 and we have numerous
6 options, several of which weren't employed for
7 the testing that could significantly alter the
8 paper receipt.

9 MR. WOODBRIDGE: Can you get a
10 larger roll than some of the vendors have.

11 MR. KERRIGAN: No because of the
12 physical constraints of where that roll fits
13 in. As of now we do employ the 350 foot roll
14 but one other option is change it from a nine
15 inch window to 4.5, another one percent before
16 you go on so they know what that means so per
17 100 voters you are saving 4.5 inches of paper
18 per voter, so that's a significant amount of
19 saving right there if you choose to use that
20 option.

21 MR. MAHONEY: Would that be a change
22 in the software machine also.

23 MR. PEARSON: It's actually a
24 programmer setting and that's done originally
25 in the coding. You either have the nine inch

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

119

2 or four and a half inch window.

3 MR. MAHONEY: So the ability is
4 already there that's in the system.

5 MR. KERRIGAN: Some other options
6 that were available in this version and have
7 been brought forward, you have the ability to
8 turn on and off whether a summary is printed
9 at the end of each session that isn't for the
10 voter, so it could be the county's option to
11 not have it and then they did have the audit,
12 the paper trail they would have to go through
13 and look at all the accepted and rejected
14 options and figure out what the final vote was
15 or scan the hardware so that vote we have
16 tested that probably took up about 12 inches
17 of what Mitch stated was 27 inches per voter.
18 Also a portion of that 27 inches I believe,
19 was part of an initial take up spool. It was
20 at the end of the roll you were showing us so
21 I would disagree with the 27 inch and almost
22 have of it could probably be cut off by
23 toggling some of the options so you can turn
24 on and off the vote summary, you can turn on
25 and off whether it does an entire election

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

120

2 summary at the end and you could also change
3 it from a nine inch to 4.5 inch.

4 MR. MAHONEY: I notice when it
5 printed out, you made a new selection there
6 was a large space. Is it possible to bring
7 the lines closer together?

8 MR. KERRIGAN: We have made
9 significant reduction in between lines in this
10 version. Previously there was probably ten
11 lines of space in between each selection, with
12 this we did reduce it down to what we feel is
13 a good amount of space to clearly have each
14 selection or deselection spaced out.

15 MR. FLEMMING: How much space for a
16 person does it usually take for a voter to
17 have their whole election changed and so
18 forth, how much is that?

19 MR. KERRIGAN: That's back to all
20 those different variables keyed into that.

21 MR. FLEMMING: If you're at nine
22 inches of viewable space, going back to the
23 other question. The totality, could it have
24 all those changes in front of them in that
25 nine inches.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

121

2 MR. KERRIGAN: Depends on the size
3 of the selection. If the election was small I
4 suppose the quantitative way to answer that we
5 should measure the number of lines that fit on
6 a nine inch window and then you could figure
7 out what maximum number of contests would be
8 in an election that would fit a nine inch
9 window of just making the selection of each
10 contest. That would be the scientific way to
11 answer that, I don't know.

12 MR. PEARSON: There is also an
13 option not to print the barcodes after each
14 session. That wouldn't be an option.

15 MR. WOODBRIDGE: You have to make
16 sure that the paper trail can recreate your
17 whole election.

18 MR. PEARSON: And not all states is
19 that required for each voter session to have
20 that barcode.

21 MR. KERRIGAN: So when we first
22 kicked this off, we were giving them a
23 probability something I know we together with
24 NJIT struggled with how should we test these
25 machines given the amount of parameters

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

122

2 because it's implemented across the city and
3 we have a lot of customer demands which
4 parameters to enable or disable and the
5 testing proceeded.

6 MR. WOODBRIDGE: National standards
7 to deal with, is that what you're talking
8 about, the national requirement.

9 MR. KERRIGAN: There could be some
10 that affect the system, but there are some
11 that are state mandated. We as a national
12 vendor actually international, we have to come
13 to a lot of different demands and state
14 mandates have to determined how to turn on and
15 off restrictions.

16 MR. PEARSON: I will say there was
17 significant amount of discussion and
18 investigation on this performed by this PPC in
19 this development of the newest and latest
20 standard not only released in the review,
21 there was an effort to look at ways, better
22 ways technology to look at this and there was
23 nothing that really significantly came out of
24 their evaluation. So the standard going
25 forward they are not going to see a whole lot

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

123

2 of changes as far as the printer technology
3 other than the end review.

4 MR. WOODBRIDGE: My recollection is,
5 I don't want to digress, my recollection is
6 the standards have been voluntary to date; is
7 that correct? Is there going to be national
8 standards?

9 MR. PEARSON: They are all
10 voluntary.

11 MR. WOODBRIDGE: There's no one size
12 fits all standards.

13 MR. GREENHALGH: If the passed
14 legislation requires mandating 30 states out.
15 In other words, even though they are
16 voluntary. They apply in West Virginia.
17 That's the state that Jane deals with. You've
18 got to conform with the standards as it is
19 written up.

20 MR. WOODBRIDGE: They have to meet
21 federal standards.

22 MR. GREENHALGH: Correct. West
23 Virginia code says you've got to meet the
24 federal standards. The most recent federal
25 standards or they cannot be used in West

2 Virginia. As written in the code they've made
3 the voluntary standards mandatory.

4 MR. WOODBRIDGE: For purposes of
5 edification of the next step, could you adopt
6 the federal standards and in addition to that
7 adopt additional standards above and beyond
8 the federal standards; is that possible?

9 MR. GREENHALGH: Yes.

10 MR. WOODBRIDGE: Going onto 3(A)2.
11 If any addition or replacement of paper, ink,
12 toner, ribbon or other like supply is
13 required, it shall be don with minimal
14 disruption to voting and without circumvention
15 of the security features of the Printer and
16 Storage Unit which protect cast ballots and
17 the secrecy of the vote. This is also noted
18 with the exception of the four and I think the
19 part that was relevant there was to comment
20 the roll paper record is accessible on
21 unlocking the printer cover I think it's an
22 issue. Do we have any comments on that?
23 Okay.

24 Roman numeral III A 2. The VVPRS
25 shall have a low-paper indicator that will

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

125

2 allow for the timely addition of paper so that
3 each voter can fully verify, without
4 disruption, all of his or her ballot
5 selections. And there is an exception of
6 number six noted by NJIT and that reads: If
7 the amount of paper reaches the minimum limit
8 during a voting session, the DRE does not give
9 the voter the opportunity to finish voting and
10 the DRE automatically voids the vote. That
11 is, the system cancels the selections and
12 locks the screen, and the voter has to restart
13 the voting session.

14 MR. KERRIGAN: I would say that we
15 are compliant because we do know if it's low
16 paper, low paper or low power it is true that
17 that voting session is canceled. The problem
18 would need to be rectified replacing the paper
19 or reestablishing AC power to the unit and
20 then the voter would be able to conduct their
21 voting session in its entirety and place all
22 of its voting selections on the system. In a
23 sense because of this hardware issue that
24 session, due to the hardware issue no longer
25 in progress, the voting session is suspended

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

126

2 and then a new voting session is activated for
3 them.

4 MR. WOODBRIDGE: The voting they've
5 done to that point is basically voided and
6 they revote again; is that correct?

7 MR. KERRIGAN: The intention of our
8 paper trail is to have it with a reel-to-reel
9 system. You want to have it concurrent, not
10 pasted together, two separate pieces of paper
11 concurrent and a trail made by the voter. The
12 paper runs out, you got to start back over
13 deal with the paper issue, give them the
14 opportunity to have an entire fully
15 uninterrupted voting session.

16 MR. WOODBRIDGE: I think I
17 understand that. I think what I'm a little
18 confused about is the low paper indicator
19 rather than out of paper. You've got ten feet
20 of paper, that should be enough for someone to
21 then vote. And so it seems to me the whole
22 idea, there should be enough of a warning
23 indication to give the voter an opportunity to
24 vote before you got to change the paper.

25 MR. KERRIGAN: And Wesley was

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

127

2 speaking about this during our demo. There is
3 a paper indicator which would indicate the
4 problem the paper should be dealt with at that
5 point. If voting resumes which it will allow
6 you to resume up to a certain point, in other
7 words it's kind of saying low paper but it is
8 not a fine line. There's a point where it's
9 going to begin notifying you and notify voting
10 and then it's going to notify you the voting
11 session to end because there is risk that you
12 might not be able to finish.

13 MR. WOODBRIDGE: You have a two
14 light mode voting symbol.

15 MR. KERRIGAN: Visual to contact the
16 poll worker.

17 MR. WOODBRIDGE: Visual to?

18 MR. KERRIGAN: Visual on the screen
19 as well as if someone was marking a ballot
20 there would be a warning method associated
21 audio file and also Will spoke to physically
22 we can have paper that has a rooster tail that
23 would begin to note receipt printed. You can
24 see the beginning.

25 MR. WOODBRIDGE: That will notify

2 the voter. How does that tell the poll worker
3 that you're getting --

4 MR. GREENHALGH: The precinct could
5 see that when you're activating a ballot.

6 MR. WOODBRIDGE: If they came in the
7 booth after someone has voted and they are in
8 the rooster tail, how much paper do you have
9 on the rooster tail?

10 MR. WESLEY: I don't know the exact,
11 I can't recall. We could get that for you. I
12 think about eight feet.

13 MR. WOODBRIDGE: What I'm still not
14 entirely clear about, so how do you detect
15 other than the rooster tail when your paper is
16 locked.

17 MR. PEARSON: A sensor on the paper.
18 It's a low paper sensor.

19 MR. WOODBRIDGE: Across the paper.
20 When you sense that, at that low point can the
21 voter continue voting at that point?

22 MR. PEARSON: I don't know that.
23 Kevin, do you know if it would be possible
24 when we hit the low paper stage? I don't
25 specifically have the answer. We can get you

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

129

2 the answer but I know that it was a design
3 feature in the system and we always default to
4 ensure the protection and integrity of that
5 voter, that vote session so we always kind of
6 err on the side of caution and precaution.

7 MR. WOODBRIDGE: I understand that
8 but I think the criteria appears to be very
9 clear if you get the low paper indicator, it
10 appears to me that there should be enough
11 paper so the voter could continue and complete
12 the vote before you change it. That's sort of
13 my reading of it. I don't know what others
14 say.

15 MR. PEARSON: I would believe that
16 that would be the case and that is something
17 that you could test in certification testing
18 examination to see if you're comfortable with
19 the way the system operates and if it meets
20 your criteria there.

21 MR. WOODBRIDGE: Mitch, you want to
22 comment on that? I guess there's an
23 exception. I think what I understand the
24 exception, it says, If the amount of paper
25 reaches the minimum limit during a voting

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

130

2 session, the DRE does not give the voter the
3 opportunity to finish voting and the DRE
4 automatically voids the vote; is that correct?

5 MR. DARER: That's what we found.

6 MR. WOODBRIDGE: If that's correct
7 that does not seem to meet the letter of the
8 criteria here.

9 MR. KERRIGAN: Perhaps I could speak
10 to voting allowed.

11 MR. FLEMMING: What indication did
12 you have that paperwork was getting low.

13 MR. WOODBRIDGE: How do you know
14 when the paper got low.

15 MR. DARER: There was a display
16 message on the DRE.

17 MR. WOODBRIDGE: So if you were
18 inside the booth, it would say paper low,
19 something like that.

20 MR. DARER: Yes, something like
21 that.

22 MR. WOODBRIDGE: If something like
23 that came up, did it say you can't vote any
24 further? What did it tell the voter, do you
25 know?

2 MR. ANSARI: Nirwan Ansari from
3 NJIT. The error message stated like the
4 printer is not working correctly place in
5 supervisor PEB and the paper ballot printer
6 has malfunctioned, your ballot will be
7 canceled, please ask your poll worker for
8 assistance. But then afterwards we go to
9 check the electronic records, the votes there
10 are voided the votes whatever the votes have
11 been done in the middle of the session are not
12 recorded so you start a whole new session
13 begin.

14 MR. WOODBRIDGE: So the voter may
15 come in, start voting, get this message in the
16 middle of voting it says come out of the
17 voting booth.

18 MR. ANSARI: Right.

19 MR. WOODBRIDGE: If that is not a
20 proper interpretation, let us know but that
21 appears to be difficulty in using this to the
22 criteria.

23 MR. PEARSON: We are seeking the
24 precise rules that we apply, so I should have
25 an answer for you today.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

132

2 MR. WOODBRIDGE: We have some other
3 materials to catch up.

4 Roman numeral 3(A)3 still on the
5 printer section. The printer shall be secured
6 by security seals or locking mechanisms to
7 prevent tampering. The printer shall be
8 accessed only by those election officials
9 authorized by the county commissioner of
10 registration. And that also relates to the
11 Exception Number Five. NJIT indicated that
12 problem with those sections relating to the
13 unlocking of the printer covering and also the
14 exposed cables. And I know you testified and
15 you did a demonstration.

16 MR. KERRIGAN: I think we've
17 addressed this issue. As required, we have a
18 locking mechanism and the ability to apply
19 security to it.

20 MR. WOODBRIDGE: And I think you
21 also indicated if you remove either the power
22 or the printer cable that the machine would
23 stop; is that correct?

24 MR. KERRIGAN: Not the power.

25 MR. WOODBRIDGE: The printer.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

133

2 MR. KERRIGAN: But in an election
3 program you use the RTAL printer it does not
4 allow functioning without the printer.

5 MR. WOODBRIDGE: 3(A)4. The
6 printer, last section. The VVPRS shall be
7 capable of showing the information on the
8 paper record in the font size of at least 3.0
9 millimeters and should be capable of showing
10 the information in at least two font ranges
11 3.0 to 4.0 millimeters and 6.3 to 9.0
12 millimeters under the control of the voter or
13 poll worker. This criteria can be met by
14 providing a magnification device with the
15 VVPRS. And there was no other exception.
16 Under seven, it says, The VVPRS cannot show
17 the information in font range of 6.3 to 9.0.
18 The maximum size with the vendor supplied
19 magnification device is in the 3.0 to 5.0
20 millimeter range.

21 MR. KERRIGAN: We feel that
22 observation is inaccurate. You can achieve
23 various lengths from the printout by guiding
24 the magnification by the window. So, the
25 range we feel is within required range in

2 criteria and we would be interested to see the
3 test method for how they acquired the range,
4 the view of those characters through the
5 magnification device.

6 MR. WOODBRIDGE: It talks about
7 supplying a magnification device. Do you
8 supply magnification devices.

9 MR. KERRIGAN: NJIT had it
10 available.

11 MR. WOODBRIDGE: What is it.

12 MR. KERRIGAN: A piece of plastic.

13 MR. PEARSON: Portable overlay.

14 MR. KERRIGAN: It holds that bearing
15 length to get the desired magnification.

16 MR. WOODBRIDGE: Is it like a glass
17 lens?

18 MR. KERRIGAN: It's a plastic
19 transparent sheet.

20 MR. PEARSON: Rigid magnification
21 sheet.

22 MR. WOODBRIDGE: Mitch, you want to
23 comment on how you determined that it didn't
24 meet the larger size font?

25 MR. ANSARI: Nirwan Ansari from

2 NJIT. With the use of ruler put on the
3 magnifying devices varying the distance, we
4 tried to get as thick as possible without
5 ambiguity, the letter may be blurred, when do
6 you different systems the range we could get
7 is what we actually documented. We did it
8 quite a few times, many times.

9 MR. WOODBRIDGE: So much that's the
10 methodology. How do you measure?

11 MR. KERRIGAN: I guess my answer to
12 it is the font size used are standard with
13 current technology and with the magnifying
14 glass held up at varying ranges it will
15 enlarge.

16 MR. WOODBRIDGE: When they tested it
17 they still didn't get it in that range of
18 being readable to paraphrase it correctly.

19 MR. KERRIGAN: I think that's where
20 we cease to be in the quantitative of when it
21 cease to be illegible. In my use I could get
22 the letters to be very large. I haven't
23 measured with the ruler.

24 MR. WOODBRIDGE: Quantifiable, it
25 says NJIT is quantifying.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

136

2 MR. KERRIGAN: Since it's never been
3 an issue before. I'm sure there are
4 magnifications that could be used.

5 MR. WOODBRIDGE: If there are make
6 sure it is in your supplemental piece. Any
7 questions? Moving onto section Roman Numeral
8 3(B). Paper Roll Display Unit. Paragraph
9 one, The paper record shall be displayed in a
10 way that allows the voter to privately and
11 independently inspect it. And that was
12 assuming to section number two of your report
13 which has a number of sections. Do you have
14 any comments about III (B)1. Page four.

15 MR. KERRIGAN: Yes. Our response is
16 that we are complying with the RTAL can be
17 viewed throughout through the window on the
18 left-hand side of the electronic, the privacy
19 shield. So it knows to be adjusted so you
20 could contain yourself within the voting area
21 which both of those help voter privacy.

22 MR. WOODBRIDGE: John, any comments?
23 Roman numeral III(B)2. If the paper record
24 cannot be viewed entirely in the Display Unit
25 at one time, the voter shall have the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

137

2 opportunity to verify the entire paper record
3 prior to the electronic or paper ballot being
4 stored and recorded. I think John you had
5 touched upon this before.

6 MR. KERRIGAN: I think this is where
7 Steve was speaking to the language in
8 particular.

9 MR. WOODBRIDGE: Daryl, you have any
10 additional comments? Okay.

11 Roman numeral III(B)3. The display
12 unit shall have a protective covering which
13 shall be transparent and shall not obscure the
14 voter's view of the paper record. This
15 covering shall be in such a condition that it
16 can be made transparent by ordinary cleaning
17 of its exposed surface.

18 MR. KERRIGAN: Made of durable
19 transparent plastic.

20 MR. WOODBRIDGE: Top of page five.
21 Roman numeral III(C). This relates to paper.
22 One, Any paper record produced by a VVPRS
23 shall be readable by voters and election
24 officials.

25 Two. All paper records shall be

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

138

2 stored in accordance with vendor
3 specifications. I believe the documentation
4 you gave us provided some indication of how
5 the paper is to be stored; am I correct?

6 MR. KERRIGAN: Yes.

7 MR. WOODBRIDGE: C.3. If stored in
8 accordance with vendor specifications, the
9 paper used produce to produce a paper record
10 shall be readable for a period of at least two
11 years after the election in which it is used.
12 Do you have any comments with regard to
13 section C you want to highlight?

14 MR. KERRIGAN: Just quickly, the
15 printout is legible computer generated font.
16 We've spoken about the variance of that font
17 size. They are listed in your iVotronic guide
18 which have been given to customers and lastly
19 we did provide documentation specs from the
20 paper user which states that the paper can
21 last anywhere from five to seven years which
22 we list in our documentation.

23 MR. WOODBRIDGE: The last part of
24 section Roman numeral III, Paragraph Three.
25 Paper Record Storage Unit. Subparagraph one.

2 Security protections including, but not
3 limited to, security seals or locking
4 mechanisms, shall be built into the storage
5 Unit to prevent tampering at all times,
6 including preelection, election day, and post
7 election. The Attorney General, through the
8 Department of Law and Public Safety, will
9 issue chain of custody guidelines regarding
10 the storage unit. And this is noted with
11 regard to exception number five.

12 The second part there, The roll of
13 printed paper records is accessible upon
14 unlocking the printer cover.

15 MR. KERRIGAN: Unlocking the printer
16 cover, you would have to have access to the
17 key as well as seals may be administered by
18 the counties as legally or deemed necessary.

19 MR. WOODBRIDGE: By storage unit I
20 assume you're talking about the entire printer
21 mechanism. Is that the case here you don't
22 have a second storage unit, integrated
23 printer.

24 MR. KERRIGAN: Integrated with the
25 booth itself from the booth set up, yes, the

2 printer is maintained within the booth set up,
3 so procedures would have to be established for
4 how to maintain that booth, but we've already
5 spoken about the chain of custody for the take
6 up wheel and I don't know if you can interpret
7 the signs pertaining to the maintenance of
8 that as well, but the unit itself is secured.

9 MR. MAHONEY: I have a question
10 about the paper roll. Since the paper roll
11 holds as many as 700, you're going to have to
12 replace it several times throughout the day.
13 Let's assume we do. Is there any way that the
14 roll is determined to be one of two, two of
15 two, three of three so if one is missing is
16 there any way that it's said, okay, this paper
17 roll is replaced, this is the second paper
18 roll going into the machine or this is the
19 third.

20 MR. KERRIGAN: We've mentioned some
21 of the administrative ways that could be
22 handled. One, first I should mention in all
23 my real world elections I've never had to
24 replace a paper roll. That's my experience
25 with the system. As we mentioned, if you were

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

141

2 to put a sealseal over that, there are certain
3 guidelines that go with that and maybe that's
4 where the procedure could be documented, but
5 in the end it comes down to local
6 administration so the decision could be made
7 by them.

8 MR. MAHONEY: What you're saying
9 there's no way for the machine to put like one
10 of one, two of two on this whole roll. You're
11 saying it's procedural roll has nothing to do
12 with that.

13 MR. PEARSON: Yeah, the machine
14 standpoint does not mark a roll or know when
15 one roll, how many rolls have been used
16 throughout the election. It tells you when a
17 roll is low. It won't allow you to continue
18 voting, but it's not going to mark okay this
19 is the second one. But the roll does have the
20 serial number of the machine.

21 MR. WOODBRIDGE: But you can match
22 the roll of the machine but you can't tell
23 what the sequence is.

24 MR. KERRIGAN: You could with the
25 time date stamp.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

142

2 MR. WOODBRIDGE: The next section
3 Roman numeral IV on pages five and this
4 section don't include any exceptions from
5 NJIT, so I'm going to read them quickly and
6 see if we have any responses or concerns.

7 A. Paper Records. The paper record
8 shall include identification of the particular
9 election, the election district, and the
10 voting machine. We have compliance on that.

11 MR. PEARSON: Yes, we're compliant.

12 MR. WOODBRIDGE: Paper cord. The
13 paper record shall include a barcode that
14 contains the human-readable contents,
15 shorthand is acceptable, of the paper record.
16 I'm not sure what that means, of the paper
17 record. We did see a barcode on the machine
18 for this print out.

19 MR. KERRIGAN: It is a standard PDF
20 format.

21 MR. PEARSON: Regular.

22 MR. WOODBRIDGE: What is the
23 information on the barcode.

24 MR. KERRIGAN: It's identical to the
25 ballot image.

2 MR. WOODBRIDGE: You can read the
3 barcode and it tells you what was the
4 information in the ballot cast, right.

5 MR. KERRIGAN: The ballot cast, the
6 voter's final selection. It's not a print out
7 of all the voter activity.

8 MR. WOODBRIDGE: It's a print out of
9 the summary there.

10 Two A. The barcode shall use
11 industry standard format and shall be able to
12 be read using readily available commercial
13 technology, correct?

14 MR. PEARSON: Yes.

15 MR. WOODBRIDGE: B. If the
16 corresponding electronic record contains
17 digital signature, the digital signature shall
18 be included in the barcode on the paper
19 record.

20 One. A digital signature is extra
21 data appended to an electronic document which
22 identifies and authenticates the sender and
23 message data using public key encryption, or
24 other means approved by LPS. I want to
25 digress here a second. I think Kevin

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

144

2 indicated that he used a low bit, 16 bit
3 encryption. I'm a little confused on what you
4 used.

5 MR. KERRIGAN: Maybe I misspoke so
6 eight bites to a bit and two, 56 divided by
7 eight. It is 256 bit low fiche.

8 MR. WOODBRIDGE: I believe that is
9 the gold standard.

10 MR. KERRIGAN: This encryption is
11 standard.

12 MR. WOODBRIDGE: Any comments? C.
13 The top of six. The barcode shall not contain
14 any information other than an accurate
15 reflection of the paper record's
16 human-readable content, error correcting
17 codes, and digital signature information.

18 MR. KERRIGAN: Yes.

19 MR. WOODBRIDGE: Three. For the Cut
20 and Drop Method, if the paper cannot be
21 displayed in its entirety on a single page,
22 each page of the record shall be numbered and
23 shall include the total count for that ballot.

24 Four. The image created on the
25 paper record shall include every contest that

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

145

2 is displayed to the voter on the DRE,
3 including write-ins and undervotes.

4 MR. KERRIGAN: Right.

5 MR. WOODBRIDGE: Five. The paper
6 record shall be created such that its contents
7 are machine readable.

8 MR. KERRIGAN: Compliant.

9 MR. WOODBRIDGE: Six. The paper
10 record shall contain error correcting codes
11 for the purpose of detecting read errors and
12 for preventing other markings on the paper
13 record from being misinterpreted when the
14 paper record is machine read.

15 A. A read error is a separate piece
16 of data that can be used to indicate whether
17 the data printed on the paper record is
18 different from the data created on the
19 electronic record.

20 What is the data error record code.

21 MR. KERRIGAN: I'm not able, I'm not
22 really able to speak to that.

23 MR. WOODBRIDGE: What are they?

24 MR. KERRIGAN: What is it in
25 reference to process, it is kind of a learning

2 process as we worked with NJIT. It's in
3 reference to the machine's ability when
4 printing the barcode to detect if any sort of
5 alterations have been made. If somebody tried
6 to mark it with ink over the barcode, the
7 threshold or ability of whatever barcode
8 standard you're using instability to determine
9 that data and see whether it's been
10 manipulated in any way. So our answer to this
11 was because we are implying barcode dated
12 would be dated by a COTS system that's outside
13 of our control to allow for a vendor
14 independent auditing of this, so that you're
15 correct the code would come from barcode
16 standard itself. I think I've accurately
17 explained that.

18 MR. WOODBRIDGE: We haven't gotten
19 any exceptions from NJIT. This was sort of a
20 sprint on the assumption the statements are
21 accurate. But so I don't want to beat a dead
22 horse on that issue, why don't we take a quick
23 five minute break and then we could read and
24 see if we can't finish the rest of the
25 sections here.

2 (Whereupon a brief recess was
3 taken.)

4 MR. WOODBRIDGE: We are going to go
5 back on the record again and pick up from
6 where we left off which was section Roman
7 Numeral Number III, I believe Four. DRE
8 Electronic Records. The electronic ballot
9 image record and paper records shall be linked
10 by including unique identifiers so that an
11 individual paper record can be identified with
12 its corresponding electronic record. Unique
13 identifiers are tools that will allow LPS to
14 measure the reliability and accuracy of the
15 voting system, as necessary. The electronic
16 ballot image and the paper record shall not
17 reveal the identity of the voter.

18 A. Unique identifiers shall not be
19 displayed in a way that could be easily
20 memorized. This is related to Section Eight
21 in the NJIT report. Says, The vendor
22 documentation does not provide the procedure
23 to reconcile the electronic ballot image
24 records within the paper record. However, the
25 project team determined that the electronic

2 ballot image records are saved in the
3 ascending order of the electronic
4 Identification Number (EIN) a memory address
5 pointer referred by the vendor); the EIN is
6 printed on the paper record and contained in
7 the barcode corresponding paper record. Thus,
8 the EIN is the linkage of electronic ballot
9 image record. However, matching the
10 electronic ballot image records to the
11 corresponding paper records is difficult for a
12 large volume of votes, and is possible only if
13 no paper records are lost. Comments.

14 MR. KERRIGAN: I think the majority
15 of that NJIT response is accurate. That is
16 how our system works, the linkage EIN and how
17 that unique identifying record for every
18 voting session is linked to paper record to
19 the ballot. So I think a majority of what
20 they are stating is how we are complying. The
21 only contention would be the last sentence.
22 However, matching the electronic ballot image
23 records to the corresponding paper records is
24 difficult for large volume of votes, and is
25 possible only if no paper records are lost.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

149

2 Yes, it is just inherently going to be that
3 way if you're trying to identify every single
4 paper record to every single vote there's
5 going to be. Each paper record would have the
6 EIN on it. So the real issue is if you had a
7 thousand votes on paper and a thousand EINS
8 printed on paper, you have to link those one
9 at a time with what's in the memory. It's
10 internally going to be a difficult process if
11 you get to that stage where you have to audit.
12 We're not talking about the procedure that is
13 standard protocol, this would be -- actually I
14 don't know when this would be implemented. I
15 guess it would be a last case scenario if you
16 were doing an audit and first you would have
17 your electronic record, you would verify
18 results that could be, compare those records
19 to your print out or your election summary
20 reports from the paper and then I suppose if
21 there was some sort of adjudication that
22 needed to happen where you have to identify
23 particular ballots then you would go through
24 this arduous process of linking the paper to
25 the ballot images.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

150

2 THE COURT: So if I understand you
3 correctly, it is technically not so much a
4 defect so much as it is something that makes
5 the process a little harder to verify; is that
6 correct, Mitch?

7 MR. ANSARI: Nirwan Ansari from
8 NJIT. I'm attempting to respond to ES&s. I
9 would like to point out that in the document
10 with respect to exception eight, you mentioned
11 that the EIN number is the link but if it's
12 not an ascending order sequential index that
13 is not correct. We found out that the EIN
14 number when they print the paper record stored
15 in the electronic record, they store it in the
16 ascending order of the EIN number. Here is a
17 test we did for 31 votes so we know exactly
18 which voting scenario and then when we print
19 it from the paper record, not the paper record
20 from the electronic record and then match it
21 to the paper records. Each paper records of
22 each voting session has an EIN number and the
23 record that is stored in the electronic record
24 when they print it up, it printed in an
25 ascending order even though the EIN number is

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

151

2 rendered EIN is randomly generated but when it
3 start, it start in ascending order so that you
4 can match if you have enough time, manpower if
5 you have 31 votes are easy to match. You
6 place the -- since you print up the record
7 from the electronic record and then you got a
8 paper record, you arrange the paperwork
9 according to in EIN ascending order then you
10 can match them all exactly. Thirty-one is no
11 problem. The problem is if one of the records
12 is lost that means this match will be upset
13 then that could be a problem, that's what we
14 are trying to say in this exception.

15 MR. WOODBRIDGE: Only if no paper
16 records are lost. If paper records should be
17 lost physically, it would mean one of those
18 rolls would have to disappear; is that
19 correct?

20 MR. ANSARI: One of the rolls or
21 even one vote is gone, one of the papers is
22 gone then they will be upset in attempting to
23 match them.

24 MR. WOODBRIDGE: It is not easy to
25 match them.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

152

2 MR. ANSARI: At that time they may
3 not be able to match. Perhaps when no paper
4 is loss, we have all the records on hand
5 electronic you have no problem matching it up.

6 MR. WOODBRIDGE: Thank you.

7 MR. FLEMMING: The last ballot if
8 you have a paper jam or paper rip during a
9 printing of a record when it gets fixed does
10 that have to be reprinted.

11 MR. PEARSON: No.

12 MR. FLEMMING: Then with this
13 criteria when you have a contention in
14 election it's paper that is going to be used
15 as your official election, so how do you vote
16 it to make sure all the electronic votes also
17 have paper records available. Because
18 thinking it from the state, paper being your
19 gold standard. You could have more electronic
20 versus paper votes.

21 MR. PEARSON: In the -- what is the
22 official?

23 MR. FLEMMING: It is not at this
24 point, we don't have it. The way that I'll
25 address this as best I can, the way the system

2 operates is electronic is always looking and
3 sensing the operation of the printer as best
4 it can. So in the event that it can detect
5 from a printer a malfunction standpoint as
6 soon as it detects any kind of malfunction it
7 stops the voting process at that point, okay,
8 and then that voting session would virtually
9 end and that voter would need to restart or
10 revote on it on a different machine. What
11 happens if it fails, that after you fail to
12 cast your vote and it's during the summary
13 which the summary is your electronic ballot
14 summary is your paper ballot.

15 MR. PEARSON: Each one of the votes
16 the transaction the person would have made
17 would be recorded sequentially up to that
18 last -- until that vote is cast so the person
19 would have had the opportunity to verify their
20 vote before they ever cast their vote, each
21 selection would be verified. So at that point
22 if the printer is still operational, you could
23 still go back and recreate that ballot. I'm
24 just saying worse case scenario, you still
25 have the ability just like you went on a paper

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

154

2 ballot, go back and recreate that, that ballot
3 so if you do lose after the vote is cast and
4 there is a printer jam and you lose the
5 barcode for that record, if it jammed or
6 didn't print or got worn, whatever, destroyed,
7 you could go back in at least manually count
8 the vote selection there so you wouldn't lost
9 any of those for your verification process.

10 MR. FLEMMING: I guess that would be
11 verification of where it is the vote is not
12 until you hit that cast button which is when
13 the barcode and summary get contacts in.

14 MR. KERRIGAN: You do have a status
15 indication summary screen that's noted, so
16 when you first hit cast before it does the
17 vote summary there is a last voter press cast.
18 You would at that point say you hit cast and
19 disconnect, you're still going to have that
20 line that let's you know the voter cast.

21 MR. WOODBRIDGE: B2. The DRE should
22 generate and store a digital signature for
23 each electronic record. I believe that's the
24 case. B3. The electronic ballot image
25 records shall be able to be exported for

2 auditing or analysis on standards-based and/or
3 COTS (commercial off the shelf) information
4 technology computing.

5 A. The exported electronic ballot
6 image records shall be in a publicly
7 available, non-proprietary format.

8 Steve, you testified I think we're
9 talking about the barcode status commercial
10 off the shelf material, correct?

11 MR. PEARSON: Yes.

12 MR. KERRIGAN: That data can only be
13 interpreted by our software. Once it is
14 interpreted it will stay with the file and
15 then it then be read.

16 MR. WOODBRIDGE: B. The records
17 should be exported with a digital signature
18 which shall be calculated on the entire set of
19 electronic records and their associated
20 digital signatures.

21 MR. KERRIGAN: We use low fiche for
22 our encryption of the data.

23 MR. WOODBRIDGE: Which doesn't
24 constitute a digital signature.

25 MR. KERRIGAN: That's correct.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

156

2 MR. WOODBRIDGE: It says, the record
3 shall be exported with a digital signature,
4 nothing about the encryption part of it.

5 MR. PEARSON: We don't -- the system
6 does not individually digitalize the
7 signature. It doesn't have a digital
8 signature for each record, but it creates, it
9 uses encryption algorithms to encrypt all
10 the data.

11 MR. WOODBRIDGE: The records shall
12 be exported with the encryption on the entire
13 set of associated digital signatures.

14 MR. PEARSON: If it's encrypted, yes
15 it's encrypted data. That's the answer.

16 MR. WOODBRIDGE: The voting system
17 vendor shall provide documentation about the
18 structure of the exported ballot image records
19 and how they shall be read and processed by
20 the software.

21 MR. PEARSON: We provide that as we
22 note in Chapter 61 of our electronic reporting
23 manual.

24 MR. WOODBRIDGE: D. The voting
25 system vendor shall provide a software program

2 that will display the exported ballot image
3 records and that may include other
4 capabilities such as providing vote tallies
5 and indications of undervotes.

6 MR. KERRIGAN: Same answer. As
7 mentioned, electronic encrypts all the voting
8 data from the EIN then you are able to
9 generate tallies for displaced undervotes and
10 statistic counter.

11 MR. WOODBRIDGE: The voting system
12 vendor shall provide full documentation of
13 procedures for exporting electronic ballot
14 image and records and reconciling those
15 records within the paper records. And we note
16 this is also the subject of exception number
17 eight.

18 MR. KERRIGAN: Yes, that is correct
19 in that we do not right now have that in our
20 curent documentation, but will implement it as
21 a result of this review. As I mentioned
22 before and as Professor Ansari said, this is a
23 lengthy and difficult process. It is a great
24 understanding of system and it is not a
25 standard operation. It's something we never

2 included. Even where we do include it in our
3 documentation, this probably would not likely
4 be included in standard. This is probably
5 anyone that's demonstrating the ERL has to be
6 a special case operation.

7 MR. WOODBRIDGE: Let me go back and
8 make sure I understand. Are you telling us
9 with regard to exception number eight that
10 NJIT cited with exception with regard to
11 exception R(4)B(1) that you expect you will be
12 able to provide that criteria?

13 MR. KERRIGAN: We note two and I
14 would argue that we are currently in the
15 document we provided at the on start of this
16 we were not compliant with 4(B)7(E) which is
17 standard document. No, we did not for the
18 initial review and we're going to add that.
19 But 4(B)1 is a separate issue we addressed at
20 the time the exception came up.

21 MR. WOODBRIDGE: So we're talking
22 about the documentation, you'll provide that.

23 MR. KERRIGAN: Right. There are two
24 points. General practice has been I don't
25 know if it's relevant on something that would

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

159

2 be a rare case like this and it will be
3 providing information, the inner workings of
4 how we store data on a flash card. That
5 information has to be very protected, so we
6 probably will release this in a technical
7 bullet that will be a bullet only. It would
8 be provided for certification with the
9 understanding this is not our standard
10 operating procedures not given as part of the
11 same users guide for this.

12 MR. WOODBRIDGE: You use that for
13 security purposes.

14 MR. KERRIGAN: Right.

15 MR. WOODBRIDGE: Next Section C,
16 Voting with a VVPRS. LPS shall promulgate for
17 voters instructions to use the VVPRS.

18 A. The VVPRS vendors shall provide,
19 in plain language, any reference material
20 requested by LPS to aid in the preparation of
21 the VVPRS instructions. These instructions
22 shall be issued to each county board. I do
23 know in the two boxes of material there were
24 instructions in there for board workers. I
25 don't know if they were contained for New

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

160

2 Jersey.

3 MR. KERRIGAN: We do have standard
4 operating procedures that's a preelection
5 checklist security protocols and it's noted we
6 have numerous amounts of documentation and we
7 do tailor that to county needs, location or
8 states, state specific requirements.

9 MR. WOODBRIDGE: B. Instructions
10 for use of a VVPRS shall be made available
11 prior to an election on the Division of
12 Elections' website and shall be available to
13 the voter at the polling place on election
14 day. You provide any charts or posters on how
15 to use the machine.

16 MR. KERRIGAN: The one, two, three
17 vote sequence instruction screen that you saw
18 on the DRE. We do have a post certificate of
19 that. I've seen counties go as far as to make
20 their own documentation. It's specific to
21 that polling location as far as giving them
22 information on where to key and where to
23 interact. Sometimes it gets localized.

24 MR. WOODBRIDGE: You have some
25 machines set up so you can vote on a dummy

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

161

2 election and know how to.

3 MR. GREENHALGH: Yes. Just a couple
4 things on the website. ES&Svote.com is
5 actually a visual image of the voting machine
6 itself so anybody can get on, actually do it,
7 do a demo of the election right on their
8 computer which is kind of nice. What we
9 found, though, what is very affective working
10 with the counties on a specific election
11 because primaries are different from general
12 elections, voting instructions may be
13 different for a primary versus general, so
14 what we do with our counties is say, okay,
15 what kind of election do we have coming up,
16 what kind of demonstration ballot do you want
17 for general election or primary election and
18 what names do you want on it. We do it
19 recommend customized depending on what the
20 state wants. Certain states you can't use
21 what we call the dead presidents because
22 George Washington may actually be on the
23 ballot. So you have to come up with Mickey
24 Mouse or Donald Duck, so it depends on a
25 state.

2 MR. WOODBRIDGE: The question I
3 have, some of these bullets take set up
4 machines actually intended voting machines.

5 MR. KERRIGAN: I think having a
6 separate election of what we call BMW asking
7 what's your favorite car, are you in favor
8 with three day weekends in that set aside
9 location to allow the vote.

10 MR. WESLEY: Some of the things that
11 we've done in some of the implementations
12 we've actually, for example, in the state of
13 Indiana they required us to assemble a team
14 with the county that did voter education
15 events around the counties where they would go
16 to malls, they would go to schools. One thing
17 that I saw that was excellent they did in
18 Powell County, they took them to places like a
19 Lighthouse of the Blind, places like that
20 where people were visually impaired with a
21 demo ballot so they do use it prior to
22 election. The effect of that was people show
23 up at the poll and they would tell the poll
24 workers get out of the way, I know how to do
25 it. They would go right in and it was very

2 very easy.

3 MR. WOODBRIDGE: C. Prior to an
4 election, the county commissioners of
5 registration will provide demonstration
6 machines at convenient locations throughout
7 the county for voter education purposes.

8 D. The instructions for performing
9 the verification process shall be made
10 available to the voter on a location inside
11 the voting machine. Where feasible, the
12 instructions shall also be on the machine
13 ballot face. Tell me if I'm wrong, but can
14 you tell me how that machine gives you
15 instruction on how to vote.

16 MR. KERRIGAN: That was the first
17 screen you selected, how you wanted to
18 interaction through visually or audio then
19 next screen is one, two, three those could be
20 brought back up by the answer and the
21 questions at the bottom.

22 MR. WOODBRIDGE: So can you do that
23 in each set of instructions?

24 MR. KERRIGAN: This is procedural,
25 people have attached that sequence and take it

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

164

2 to the inside of the building.

3 MR. WOODBRIDGE: Two(C)2. Voter
4 privacy shall be preserved during the process
5 of recording, verifying and auditing ballot
6 selections. This includes a voter who uses an
7 audio voting device. Voters using an audio
8 voting device shall also be able to verify
9 votes privately and independently. I know
10 this was subject of exception number two and
11 three from the NJIT report.

12 MR. KERRIGAN: And I think we've
13 talked about both from physical privacy of
14 voting as well as the digital privacy of
15 voting.

16 MR. WOODBRIDGE: I guess to the
17 individual we talked about the voting machine
18 being collapsable and some of the procedures
19 of setting up your location, taking into
20 consideration your security and privacy for
21 the voter. Voters using audio verified votes
22 privately and independently so when you vote
23 and you finish, how do you know what you're
24 voting for.

25 MR. KERRIGAN: Similar to the visual

2 interface where you cast your vote, you scroll
3 using the four key panel when you get to the
4 end you are required to completely go through
5 the review screen, if you accept you have the
6 wait file telling your selections. It would
7 identify the contents and your current
8 selection and then if you were to press down
9 you would go to the next contest and it would
10 call out the contest and your selection and as
11 soon as you got to the bottom of that summary
12 which is being read to you, then that vote
13 button becomes enabled and when you reach the
14 bottom that's when the voter receives
15 instruction on how to when you reach the
16 bottom it's prompted, I can't remember the
17 exact wording tells them that the vote button
18 is located at the top of the machine and it
19 tells them the shapes of the button they are
20 interacting with so they could find the
21 buttons, press and as far as privacy that
22 screen is blank, we talked about that before.

23 MR. WOODBRIDGE: Paragraph Three at
24 the top of page eight, that section C(3). In
25 any election where the ballot contains a

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

166

2 language in addition to English, the paper
3 shall be produced in all such languages.

4 A. To assist with manual auditing,
5 candidate names on the paper record shall be
6 presented in the same language as used on the
7 DRE summary screen.

8 B. Information on the paper record
9 not needed by the voter to performance
10 verification shall be in english. You don't
11 have any comments from NJIT on this issue, but
12 the assistant manual shall be presented in the
13 same language on the DRE summary, so that was
14 compliant.

15 4. The privacy of voters whose
16 paper records contain an alternative language
17 shall be maintained.

18 MR. KERRIGAN: No voter
19 identification on the RTAL.

20 MR. WOODBRIDGE: I will read
21 portions of this next session because all
22 related to exception number one by NJIT.

23 C (5). The paper records shall
24 distinguish between accepted and non-accepted
25 ballots.

2 A. The voter shall have the
3 opportunity to accept or reject the contents
4 of his or her paper record. Exception number
5 one.

6 1. If the voter rejects the
7 contents of the paper record, he or she may
8 recast the ballot up to two additional times.
9 This procedure is consistent with current
10 State law, which limits the amount of time a
11 voter has to cast a ballot.

12 Next section Two. Before the voter
13 causes a third and final paper record to be
14 printed, the voter shall be presented with a
15 warning notice on the machine that the
16 selections on the DRE will be final. The
17 voter will see and verify a printout of the
18 votes, but will not be given additional
19 opportunities to change any vote. The third
20 ballot cast shall constitute the final and
21 official ballot of such a voter.

22 And then same section one 5(a)3.
23 Upon rejecting a paper record, the voter shall
24 be able to modify and verify the selections on
25 the DRE without having to reselect all choices

2 in all contests on the ballot. And these all
3 relate to exception number one and of course
4 the issue we're struggling with here is the
5 issue of how many paper ballots you get and
6 you have any comments.

7 MR. KERRIGAN: I think in order to
8 properly talk about this issue we'd have to
9 come to the agreement of what the word cast
10 means. Our interpretation, generally the term
11 cast means that your ballot has been submitted
12 and at that point you're not allowed to make
13 any alterations. Now, I think true potential
14 of this criteria itself to allow the voter to
15 see their selections on paper and if they
16 don't like what they're seeing on paper, they
17 have an opportunity to alter votes, those
18 selections or lack therefore and I would feel
19 that our system is compliant in that
20 interpretation of the criteria.

21 As far as the number being three, we
22 have an unlimited opportunity or the voter has
23 an unlimited opportunity to make a selection
24 and all of those alterations or initial
25 selections will be noted onto the printer. So

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

169

2 the process with our system the real time
3 monolog, the process of accepting or rejecting
4 at the end of the ballot is not required
5 because the voter has immediately had the
6 opportunity upon making a selection to verify
7 it was recorded properly to the paper. We
8 also provide the summary screen at the end and
9 any alterations made there to the paper are
10 distinct indefinitely. The machine itself
11 does not restrict a voter to how many choices
12 or changes they wish to make.

13 MR. WOODBRIDGE: So there's no
14 warning, no risk once you get to it the final
15 paper outlet.

16 MR. PEARSON: You never reach that
17 point because you only queue once with this
18 system.

19 MR. WOODBRIDGE: I don't want to put
20 words in your mouth. I take it what you're
21 arguing, you might not meet the letter of this
22 but the spirit or intention of what the
23 content is.

24 MR. PEARSON: I think the language,
25 there was language that attempted to allow for

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

170

2 all types of systems reel-to-reel and not in
3 all cases did they think through when the
4 legislation was drafted how the reel-to-reel
5 systems performed, so I think they need to
6 look at what the intent of the law was versus
7 the let alone interpretation because with this
8 system with the reel-to-reel system like ours
9 you'll never reach the second opportunity to
10 cast or the third. You only cast once.

11 MR. KERRIGAN: The term cast means
12 action by the voter. If you read the laws to
13 interpret cast means submitting your ballot
14 then I would argue this would not be legal to
15 have more than one cast because once you
16 submit your ballot the same paperwork you drop
17 it into the ballot, you are not able to
18 retrieve that ballot. So with our
19 interpretation of the word cast meaning making
20 a selection or nominating a candidate by
21 highlighting his name, we meet the letter of
22 the law.

23 MR. FLEMMING: If you take your
24 interpretation, before you put it in the
25 ballot box you could go get a second paper and

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

171

2 throw it away before it goes into the box.

3 MR. KERRIGAN: You do have to score
4 ballots with DRE it's not as necessary as it
5 is with paper where they could false mark and
6 they are unable to unmark that selection. DRE
7 gives you the ability to make and unmake
8 selections. So you don't spoil the
9 traditional paper you have the ability to say
10 here is more than one ballot presented on the
11 machine, a coworker could pull up the ballot,
12 they may have to cancel the voter, the ballot
13 that would be recorded a vote is cancelled but
14 there's no need DRE that's the intent with DRE
15 is to increase voter awareness of properly
16 voting, preventing overflow, things like that
17 and most other things go away with DREs
18 existed with paper.

19 MR. WOODBRIDGE: Some of these
20 issues will crop up again and we will talk
21 about them. Any other comments.

22 MR. MAHONEY: No.

23 MR. WOODBRIDGE: Okay. Five A 4.
24 If a mechanical error in recording or printing
25 a paper record occurs, the record shall be

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

172

2 counted as a spoiled paper record. It will
3 not be counted as one of the voter's three
4 attempted votes. And this represents two
5 exceptions both nine and ten which I'll read
6 to you.

7 This is exception nine. Neither the
8 DRE nor the VVPRS can detected a paper jam.
9 When paper jam occurs, the voter can still
10 make or change selections on the DRE and cast
11 the ballot as normal. However, the printer
12 keeps printing over the same area on the paper
13 roll making it illegible. No audio or visual
14 warning signal is given to either the voter or
15 the poll official. The vote is electronically
16 recorded and counted. The paper jams were
17 observed in both single tests and the two
18 volume tests. One paper jam during the 14
19 hour test even resulted in paper torn apart,
20 in which case selections and barcodes were not
21 printed. And it also led to exception ten.
22 If the printer cable is disconnected after the
23 voter presses the VOTE button, the ballot is
24 electronically recorded and counted in the
25 close-poll report. Yet, no barcode is printed

2 on the paper record, and the cancellation of
3 the ballot is indicated on the DRE screen and
4 the Event Log report. So there are a couple
5 of issues here first of all, is there such a
6 thing as a spoiled paper record in your
7 system.

8 MR. KERRIGAN: Yeah in the sense it
9 cancels the ballot at the DRE, then that paper
10 record the actions made on the paper record
11 previously were not recorded to the
12 electronic.

13 MR. WOODBRIDGE: But the voter
14 cannot spoil a ballot, the machine can because
15 of malfunction.

16 MR. PEARSON: Or withholding or
17 intervention insert the PEB, the opportunity
18 to cancel.

19 MR. WOODBRIDGE: I think they are
20 talking about here, one, two and three
21 different paper ballots and the machine may be
22 one or two of that selection.

23 MR. KERRIGAN: I would say that
24 criteria is written for a receipt printer.
25 You're talking about verification at the end.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

174

2 We have a method, it is not a final
3 verification at the end where you submit paper
4 record, but if I may talk to some of the other
5 points that you brought up.

6 Exception nine I believe is
7 erroneous that neither the DRE nor the VVPRS
8 can detect paper jams. We've already spoken
9 to the system that we do have in place. There
10 is on board technology that attempts to
11 protect any malfunctioning of the printer.
12 There's also an addition to those systems.
13 There is a tension arm on the reel-to-reel.
14 If that tension doesn't exist anymore for
15 instance, if you were to tear the ballot and
16 that arm no longer has the tension on the
17 paper, then that would be a failure in the
18 hardware and that would be detected by the
19 printer and subsequently by the poll worker,
20 so there are things in place and that is
21 inaccurate to say across the board that they
22 are not able to detect the paper jam.

23 MR. WOODBRIDGE: You have any idea
24 why NJIT had some opposition to this issue.

25 MR. KERRIGAN: None without being a

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

175

2 part to the testing, nor knowing how the paper
3 jam was produced we have no way of knowing.

4 MR. PEARSON: Before you have
5 someone come up, as I mentioned we ARE
6 accepting inoperability on any condition on
7 the printer to be able to stop that voting
8 session and notify the voter that the voter
9 needs to be notified. There are cases where
10 the voter is selecting and verifying. If the
11 paper is not advancing, they would also
12 visually could actually visually detect that
13 the printer is not advancing and their
14 selection is not being printed prior to the
15 system knowing that the paper is hung up for
16 whatever reason. So that would be another
17 opportunity for the voter verified paper
18 system to say, hey, my vote's not coming up
19 here, there's something wrong.

20 MR. WOODBRIDGE: I know Kevin you're
21 going to have to leave in a few moments. You
22 have any comments on the paper jam?

23 MR. DARER: It's hard for us to
24 reconcile in your experience is it possible
25 the jams you had.

2 MR. ANSARI: My name is Nirwan
3 Ansari from NJIT. The paper jams are not
4 unique. It happened quite often during our
5 test and we have some of the pictures we took
6 about the paper jams and there wasn't any
7 signal and I have a picture about when it is
8 stuck then the machine freeze up and no action
9 whatsoever afterwards.

10 MR. WOODBRIDGE: Is it possible the
11 tension arm broke and gave a signal if there
12 is a problem with the paper.

13 MR. KERRIGAN: Yes. As he just
14 explained, if there is an error detected there
15 is a visual warning on the screen as well as
16 audio associated warning. It explains there
17 is a printer malfunction, contact the poll
18 worker and as we discussed before, the
19 subsequent procedure would be a problem which
20 would have to be rectified. You have to get
21 the printer back on line and you have to start
22 a new voting session.

23 MR. WOODBRIDGE: It sounds to me,
24 you said no audio visual warning signal was
25 given; is that correct?

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

177

2 MR. ANSARI: In one location the
3 paper was torn, only one location happened
4 during the test in which case --

5 MR. KERRIGAN: Was the paper
6 completely torn?

7 MR. ANSARI: It's jammed and then
8 torn apart and at that time it all froze.

9 MR. KERRIGAN: The reason I make
10 that distinction, as soon as that paper
11 becomes completely torn up it's going to have
12 tension on the reel-to-reel and it will have
13 to be shut down. If it's jammed and
14 successfully printing albeit over and over
15 again the same area, then there's no printer
16 error. The printer is working, but the paper
17 isn't incoming and that's where Steve was
18 explaining in a voter verified system you have
19 to allow them to vote on their own. It is up
20 to them to recognize my voter verifiable paper
21 is not in coming.

22 MR. WOODBRIDGE: You also used the
23 word paper jams. How many times have you had
24 jams.

25 MR. ANSARI: Altogether five times.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

178

2 Twice in the 14 hour test, three times 1200
3 vote test.

4 MR. KERRIGAN: Another unknown to us
5 is how it was loaded, whether it's loaded
6 properly.

7 MR. WESLEY: If I could interject.

8 MR. KERRIGAN: We weren't party to
9 the testing.

10 MR. WESLEY: I'm sorry. During our
11 installation in West Virginia we kind of ran
12 into that same issue during the training
13 session when we were training where some of
14 the folks were loading the paper incorrectly
15 and I addressed that issue with the state as
16 well as with their trainers and showed them
17 the correct way to load the paper and we've
18 done multiple elections where that have not
19 been an issue. So without being a part of it
20 it's kind of difficult to know the
21 circumstances surrounding that, but I suspect
22 that the paper was not input properly.

23 MR. ANSARI: I would like to contest
24 about it. I think we did place the paper very
25 properly. I instructed all my students make

2 sure the paper, we want to minimize our error
3 we don't want to create any error. We even
4 have some pictures of how this is, the torn
5 paper and we also have some pictures in which
6 the printer keep printing on the same area and
7 I believe we did our very best to load this.
8 I don't think this needs any genius to load
9 any paper. I told my students to load them
10 very carefully.

11 MR. MAHONEY: Before the training
12 before NJIT started were they shown by ES&S
13 how to install the paper so they were
14 correctly informed about that.

15 MR. PEARSON: By myself.

16 MR. WOODBRIDGE: We have exception
17 ten. It says: If the printer cable is
18 disconnected after the voter presses the VOTE
19 button, the ballot is electronically recorded
20 and counted in the close-poll report. Yet, no
21 barcode is printed on the paper record, and
22 the cancellation of the ballot is indicated on
23 the DRE screen and in the Event Log report.

24 MR. KERRIGAN: I think we spoke
25 about this before in the sense I did identify,

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

180

2 we do indicate the sessions that you're at on
3 your vote when you're in voting mode all
4 your actions are recorded when you enter the
5 summary mode that line is printed on the
6 printer and then when your vote when you hit
7 that print button, you immediately your vote
8 is cast so if the printer becomes disconnected
9 after that point and you lose your vote
10 summary as well as your barcode as Steve
11 Pearson mentioned you're still able to
12 recreate that ballot from that audit trail
13 from the real time audit.

14 MR. WOODBRIDGE: But you're
15 saying --

16 MR. KERRIGAN: Yeah, essentially if
17 the printer becomes disconnected to even go
18 further if it becomes disconnected prior to
19 your voting or if you're going to try to
20 ensure that's one reason we should have done
21 the machine if that printer becomes
22 disconnected during that audit trail, during
23 the voter session itself and we don't allow
24 you to vote without that printer being
25 connected because we do need that to reconnect

2 the ballot on the ballot record.

3 MR. WOODBRIDGE: VVPRS shall be
4 designed to indicate the paper record which
5 the voter has identified and cast as his or
6 her official ballot.

7 We have the next section which we
8 don't appear to have any exceptions to. I'm
9 going to read them quickly.

10 Paragraph Five, Security and
11 Liability. The VVPRS shall not be permitted
12 to externally communicate with any system or
13 machine other than the voting system to which
14 it is connected.

15 B. The VVPRS shall be able to
16 function as a printer; it shall not contain
17 any other services for example, copier or fax
18 functions or network capability. I think that
19 is correct.

20 MR. KERRIGAN: Correct.

21 MR. WOODBRIDGE: The printer shall
22 not contain any component with an external
23 communication feature. That's correct too.

24 MR. PEARSON: Yes, that's correct.

25 MR. WOODBRIDGE: C. The paper path

2 between the printing, viewing and storage of
3 the paper record shall be protected and sealed
4 from access, except by election officials
5 authorized by each county commissioner of
6 registration.

7 MR. PEARSON: That's correct.

8 MR. WOODBRIDGE: All cryptographic
9 software in the voting system shall be
10 approved by the U.S. Government's
11 Cryptographic Module Validation Program, if
12 applicable, prior to being certified in New
13 Jersey.

14 One. As stated in the discussion
15 portion of Section 7.9.3 of the United States
16 Election Assistance Commission draft criteria
17 for Voter Verifiable Paper Audit Trail
18 Requirement, There may be cryptographic voting
19 schemes where the cryptographic algorithms
20 used are necessarily different from any
21 algorithms that have approved CMVP,
22 Cryptographic Module Validation Program
23 implementations, thus CMVP approved software
24 should be used when feasible but is not
25 required. The CMVP website is

2 www.csrc.nist.gov/cryptval.

3 The vendor shall provide a
4 certification of CMVP approval, if applicable.
5 If not applicable, the vendor shall provided a
6 certification setting forth the reason why
7 CMVP approval does not apply.

8 MR. KERRIGAN: It is certified by
9 CMVP.

10 MR. WOODBRIDGE: The printer under
11 Exception Number Five is noted here. The
12 printer shall be connected to the voting
13 machine either by concealing the printer
14 connection or via a security tag to prevent
15 tampering; is that right?

16 The roll of printed paper records is
17 accessible upon unlocking the printer cover.

18 The cable connecting for the VVPRS
19 to the DRE is exposed and can be easily
20 disconnected from the printer port on the top
21 of the DRE.

22 MR. KERRIGAN: We are compliant as
23 required. It says you have to secure it
24 either or with a security tag and we are able
25 to provide a security tag over the connection.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

184

2 MR. WOODBRIDGE: Comments on that
3 section?

4 Section F. The DRE shall detect and
5 notify the election officials at the polling
6 place of any errors and malfunctions, such as
7 paper jams or low supplies of consumables, for
8 example, paper, that may prevent paper records
9 from being correctly displayed, printed, or
10 stored. I think we talked about paper jams.

11 MR. FLEMMING: Yes.

12 MR. WOODBRIDGE: Quite a bit. Any
13 other comments on this? Nothing.

14 MR. FLEMMING: I want to make sure
15 the notification is to the voter not the
16 elected official.

17 MR. KERRIGAN: If the printer error
18 appeared while the supervisor was printing the
19 ballot, yes, they would be present up to that
20 point when they then leave the voter in
21 privacy to vote.

22 MR. FLEMMING: Let's say the voter
23 decides not to tell anybody there's a problem
24 and the next one comes in, will the voting
25 then see a problem now.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

185

2 MR. KERRIGAN: That would be on the
3 screen and voters don't activate our screens,
4 supervisors do. We constantly have that
5 interaction between machines and pollers and
6 another session could be started without the
7 supervisor maintaining the paper error.

8 MR. WOODBRIDGE: Any other comments?

9 MR. MAHONEY: No.

10 MR. WOODBRIDGE: If a mechanical
11 error or malfunction occurs, such as, but not
12 limited to, a paper jam or running out of
13 paper, the DRE and VVPRS shall suspend voting
14 operations, not record votes, and present a
15 clear indication of the malfunction to the
16 voter and election officials.

17 This goes to exception number nine
18 but what's interesting about this, I'm reading
19 it but it appears to me if you do have a jam
20 it stops the voting, doesn't record the votes.
21 What do you think, no?

22 MR. FLEMMING: About the voting
23 machine, if it detects the error it will
24 suspend it so the voter has to go in another
25 session.

2 MR. WOODBRIDGE: I don't think that
3 was consistent with the other section.

4 MR. FLEMMING: The question I really
5 have is that the clarification to the voters,
6 that's clear, but the clarification to the
7 elected official is not.

8 MR. KERRIGAN: Because the voter
9 cannot proceed any further and no voter would
10 be able to use that machine. The only next
11 interaction would be the poller. So that the
12 same message is presented to both the voter
13 and the poller. Obviously a poller can't
14 linger around the machine and they have to
15 lead the voter to privacy. Every error
16 message is initiated with an audible feature.

17 MR. WOODBRIDGE: I see that, by one
18 indication of someone away from the machine.
19 I should have brought that up earlier. I'm
20 just noting with some interest that there's a
21 conflict between the sections.

22 Roman numeral III(A)2 and this
23 section being B, to the section if there's a
24 malfunction the paper jam suspends operation,
25 so it makes you wonder whether or not they

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

187

2 kept repeating criteria there.

3 MR. KERRIGAN: I'm sorry, I have to
4 excuse myself.

5 MR. WOODBRIDGE: I appreciate you
6 coming. Here have a good trip to Paris. Any
7 comments with regard to section G.

8 Section H. This relates to an
9 exception from NJIT. It says, If the
10 connection between the voting machine and the
11 printer has been broken, the voting machine
12 shall detect and provide notice of this event
13 and record it in the DRE's internal audit log.
14 Voting operations shall be suspended and no
15 votes shall be recorded. I guess the question
16 I should ask is if the connection is broken,
17 is it recorded in the DRE audit audit log.

18 MR. PEARSON: Yes, between the
19 iVotronic and the printer, yes.

20 MR. WOODBRIDGE: So it's something
21 that's printed.

22 MR. PEARSON: Yes.

23 MR. WOODBRIDGE: And we talked about
24 Exception Ten. It relates to the issue of the
25 voting and employment, so we won't -- we've

2 gone over that already.

3 The next section goes to -- we don't
4 have any exceptions to that, so I'm going to
5 go through them as quickly as I can.

6 I. If the voter's selections on the
7 DRE do not match the paper record, then the
8 DRE shall immediately be withdrawn from
9 service.

10 1. The affected voter shall be able
11 to vote on another voting machine, if
12 available, or by emergency ballot.

13 J. The vendor shall provide to LPS
14 documentation for the DRE and the VVPRS that
15 includes procedures for the recovery of votes
16 in case of a malfunction. And I believe I've
17 seen some of that in the documentation if I
18 remember correctly. LPS shall be responsible
19 for disseminating this information to the
20 county commissioners of registration. That
21 information has been provided.

22 MR. PEARSON: We provided.

23 MR. WOODBRIDGE: The vendor shall
24 proved to LPS documentation for the DRE and
25 the VVPRS that includes recommended procedures

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

189

2 to enable the election officials to return a
3 voting machine to workable status after the
4 machine has malfunctioned, the printer needs
5 to be replaced or a voter used it incompletely
6 or incorrectly.

7 1. These procedures shall not cause
8 discrepancies between the tallies of the
9 electronic paper records.

10 2. LPS shall be responsible for
11 disseminating this information to the
12 commissioners of registration.

13 So tell us a little bit about your
14 job with regard to paper records.

15 MR. PEARSON: Sorry, I can't go into
16 detail on this. I know we have, our answer is
17 we provided it's included in our standard
18 operating procedure for poll workers. So I
19 don't have any detail on the specifics of
20 what's in those procedures.

21 MR. GREENHALGH: It depends on what
22 the state law is, depends on what the official
23 ballot is, we gauge our recommendation based
24 on that. If the official ballot is something
25 like the internal audio records that's the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

190

2 flash cards or machine, then procedure would
3 be different. Second, it depends when this
4 happens a lot of this occurs during the
5 official canvas which is after the election
6 and we're very, very careful to go over
7 precisely how to do an audit on a receipt
8 printer base versus what's the receipt record,
9 so it depends on state law.

10 MR. WOODBRIDGE: You provide
11 documentation in those scenarios.

12 MR. GREENHALGH: Yes, we do.

13 MR. WOODBRIDGE: Vendor
14 documentation shall include procedures for
15 investigating and resolving printer
16 malfunctions including, but not limited to,
17 printer operations, misreporting of votes,
18 underreadable paper records and process
19 failures.

20 MR. PEARSON: We provided that
21 documentation.

22 MR. WOODBRIDGE: M. If a machine
23 malfunctions or becomes inoperable, voters
24 will be entitled to vote by emergency ballots.
25 You provided emergency ballots. I probably

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

191

2 should be addressing this to Marge and Abbey.

3 MS. McCABE: Yes, we do. We have a
4 box attached to the back of the machine
5 currently.

6 MR. WOODBRIDGE: And pencils and
7 clipboards and stuff.

8 MS. McCABE: We have to tell you
9 with DRE, we never once in the history used it
10 once.

11 MR. PEARSON: Of course if there's
12 other machines, the voter would be directed to
13 the machine.

14 MR. WOODBRIDGE: I'm not going to
15 read Roman Number VI, Certification A through
16 C because it's not really relevant to this
17 particular to the vendor, but I am going to
18 read section C 1 and 2 subsection.

19 The vendor shall provide to the
20 State, electronically and in hard copy, all
21 use and technical specifications and
22 documentation relating to the function of the
23 VVPRS.

24 2. The vendor shall submit a
25 certification that VVPRS satisfies the State's

2 criteria. I believe I saw in a letter
3 indicating --

4 MR. PEARSON: Yes, we'll get those.

5 MR. WOODBRIDGE: Certification
6 Section VI D. A VVPRS shall not, at any time,
7 contain or use undisclosed hardware or
8 software. The only components that may be
9 used in a system are components that have been
10 tested and certified for the use in The state.

11 MR. PEARSON: We follow all state
12 and federal regulations.

13 MR. WOODBRIDGE: Up indicated there
14 is some hardware you're now having certified;
15 is that correct?

16 MR. PEARSON: Actually hardware and
17 firm ware and software, our entire 40 suite,
18 that includes the 9.2 that was examined here
19 that is going to be certified and also
20 includes the addition of the setting up
21 capability for the ADA capability, so there's
22 change to the software suite, all of the
23 Calcuter firmware as well as some hardware
24 modification such as adding the set up to the
25 electronic.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

193

2 MR. WOODBRIDGE: The vendor shall be
3 required -- Roman Number VI, Section E. The
4 vendor shall be required to provide the source
5 code for the DRE and the VVPRS to the State,
6 a/or to place such source code in escrow, to
7 allow for independent testing by the State, at
8 its discretion. Upon request, the State will
9 enter into non-disclosure agreement with the
10 vendor. Did I see that agreement in your pack
11 of material.

12 MR. PEARSON: I don't recall. I
13 believe we would have executed that. We're
14 usually pretty careful and cautious about
15 that.

16 MR. WOODBRIDGE: Everything is
17 deposited with the state or third party
18 agents.

19 MR. PEARSON: In the past we have in
20 the current state that it's their hands right
21 now until testing one is completed then that
22 will then be deposited to the NSRL, not the
23 source code but the executable put on deposit
24 there and then the source would be put on
25 deposit with an independent escrow agent. We

2 use Iron Mountain, so all of our code is in
3 escrow. That's standard practice.

4 MR. WOODBRIDGE: You always test
5 with NTIS too.

6 MR. PEARSON: The new requirements
7 by the EAC that's what the new bill says that
8 they have is once the trusted bills are
9 complete before you get into the testing then
10 we basically lose custody of that object code
11 and then that code gets about by order of the
12 EAC for EAC then the VSTL will then deposit
13 that at NSCRL software by reference and it's
14 held there and then that would be used
15 downstream for any software validation
16 confirmation. You can confirm the source code
17 from any system to what's been certified.
18 That's the process today.

19 MR. GREENHALGH: Now the states may
20 require their own escrow procedure and when
21 that occurs, then we spell out the
22 circumstances under which the source vote
23 could be accessed and that's where the company
24 goes in bankruptcy. A lot of states do that
25 they require separate source codes with their

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

195

2 assigned escrow agents.

3 MR. PEARSON: We're prepared to
4 provide the escrow source for New Jersey as
5 required.

6 MR. WOODBRIDGE: Six F. The vendor
7 shall be responsible for the cost of any
8 testing of the VVPRS that the state deems
9 necessary to achieve certification.

10 MR. PEARSON: We're used to that.

11 MR. WOODBRIDGE: Six G. Vendor
12 documentation shall include printer
13 reliability specifications including Mean Time
14 Between Failure estimates, and shall include
15 recommendations for appropriate quantities of
16 back up printer and supplies. It may have
17 been there in all the papers. I didn't see
18 them.

19 MR. PEARSON: We are, the system is
20 certified to the 2002 federal standard PPS and
21 that one is the measurement that is used.

22 MR. WOODBRIDGE: That includes the
23 Mean Time.

24 MR. PEARSON: That is specifically
25 we've listed ten volumes, it's in one of the

2 volumes the 2002 standard. We can provide you
3 that Roman Numeral VI I. Mean Time Between
4 Failures, which measures the reliability of a
5 voting system device, is the average time that
6 a component works without failure. It is the
7 value of the ratio operating time to the
8 number of failures which have occurred in the
9 specific time interval.

10 Seven. Pre-Election Procedures. A
11 VVPRS's component shall be integrated into the
12 existing local logic testing procedure
13 performed by county election officials, which
14 are performed in preparation for an election.
15 I believe there are some documentation of that
16 in the two big boxes we got, but you're not
17 going to explain what to do. We provide
18 pre-election procedures in the technical data
19 package that's submitted and there's a
20 pre-election checklist and I'm sure that
21 Sussex County probably has their own set of
22 instructions as well that they would
23 incorporate into their procedures. We learn
24 from our vendors too to incorporate their
25 procedure, but we have provided those

2 procedures.

3 MR. WOODBRIDGE: Section Roman
4 numeral Eight A through C relate to items that
5 aren't relevant to this and primarily relate
6 to procedures at state level, so I'm going to
7 jump down to Roman numeral D as in David.

8 In case the machine cartridge
9 becomes unreadable or is damaged for an audit
10 or recount, the county commissioner of
11 registration shall produce the ballot image
12 audit log from the machine. The vendor shall
13 provide LPS documentation the protection of
14 such audit log. Now, we understand you don't
15 have, you have a cartridge, but you have a
16 changeable spool so I guess the remainder of
17 the question, you obviously keep an image in
18 the machine, a cartridge that tests, as Kevin
19 said before, not a PDF type of image.

20 MR. PEARSON: All that information
21 is stored on a compact flash card and when
22 it's pulled, it's retained as another means of
23 auditing.

24 MR. WOODBRIDGE: Roman numeral
25 Eight, Section E. The paper record shall be

2 created such that its contents are machine
3 readable for purposes of any recount, audit or
4 initial tallying of an election in the event
5 that the machine cartridge containing the
6 electronic record is not usable.

7 1. The paper record shall contain
8 error correcting codes for the purpose of
9 detecting read errors. This may be done by
10 barcode. This is redundant for what we have
11 already talked about if I'm not missing
12 something.

13 F. If a county employs a
14 "Continuous Spool" VVPRS, it shall conduct any
15 audit or recount in accordance with the
16 procedures established audit by LPS to fully
17 protect the secrecy of all votes cast. Such
18 procedures include, but not be limited to,
19 cutting the spool-to-spool paper roll into
20 individual paper records, and restricting
21 public access to uncut paper roll. I guess
22 this really doesn't apply to a machine as
23 such.

24 MR. PEARSON: Other than provide
25 adequate space between voting sessions to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

199

2 provide cutage.

3 MR. WOODBRIDGE: G. The vendor
4 shall provide LPS written procedure to identify
5 and resolve any discrepancy between an
6 electronic record and its corresponding paper
7 record. LPS shall be responsible for
8 disseminating this information to the county
9 commissioners of registration.

10 H. The vendor shall provide written
11 procedure for determining what constitutes
12 clear evidence that a paper record is
13 inaccurate, incomplete, or unreadable. LPS
14 shall be responsible for disseminating this
15 information to the county commissioner of
16 registration. So there are two issues here.
17 One is written procedure identifying
18 discrepancies between electronic records and
19 paper records. I've just had a similar
20 criteria for this earlier and also provide
21 written procedure clear evidence and the paper
22 record is inaccurate or unreadable. I'm
23 especially interested in your response to that
24 section H. in regards to paper records to
25 inaccurate or unreadable and unwritten

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

200

2 procedures. You have to assist the county
3 with those problems.

4 MR. PEARSON: First of all, we've
5 never had a discrepancy. We've been 100%
6 accurate with the electronic and the RTAL as
7 evidence of our latest testing as well as the
8 extensive use in the elections to date, but
9 the documentation that would determine if
10 there was any inaccuracies or discrepancies
11 would be the documentation for your logic and
12 accuracy procedure prior to an election and
13 then any of the auditing procedures at the
14 conclusion of the election, post election to
15 be able to identify. So there's a multitude
16 or multiple methods to determine if there are
17 discrepancies of which would provide
18 documentation for all those procedures.

19 MR. WOODBRIDGE: And with regard to
20 the state's views of systems like this, are
21 they provided with this kind of documentation?

22 MR. PEARSON: Standard procedure.
23 It was required by May 6th. It's required by
24 the 2002 standard to have that level of
25 documentation.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

201

2 MR. GREENHALGH: To clarify, some of
3 the states we deal with do a mandatory recount
4 of x number of precincts which require you to
5 take the paper record from the printer and
6 compare it to the electronic. I think it
7 varies between two and five percent. What we
8 do is prepare instructions for the county on
9 how to do that and normally there's lots of
10 manual work involved because you're basically
11 taking paper records, trying to read all the
12 valid images and compare them to the
13 electronic records. We're very careful
14 because that's where mistakes could be made
15 because people are in our system, we say make
16 sure you look at the bottom of the vote
17 record, that voters choice can change at the
18 end. The way Jane has done it in West
19 Virginia is read from the bottom up and
20 compare it manually and compare it with the
21 machine records and they have to sign off if
22 they agree on every office total number of
23 votes they sign off on it and then they meet.

24 MR. WOODBRIDGE: The summary at the
25 bottom of each and every trail cast should be

2 what's totalized in the machine, right?

3 MR. GREENHALGH: Yes, exactly.

4 MR. FLEMMING: The states that you
5 are in right now, what are they using for the
6 gold standard, which one wins?

7 MR. GREENHALGH: It depends on the
8 state, what the official ballot, the gold
9 standard is the paper the RTAL printer that is
10 the official ballot. Now, there's some data
11 about whether that's going to be retained.
12 They are not quite sure whether it's going to
13 be retained. It takes a lot of manual effort.
14 That's where you run into, do a lot of work
15 where you manually are counting those
16 individual ballots, the electronic records.
17 So there is some discussion about changes.

18 MR. FLEMMING: How are the states
19 using the paper as dealing with paper jams and
20 ballots that are not quite complete.

21 MR. GREENHALGH: We're fortunate
22 with the precinct we selected.

23 MR. PEARSON: They would perform
24 them in the same manner we discussed.

25 MR. FLEMMING: Paper is your gold

2 standard, and it has three less votes and your
3 electronic has three more votes. If that's
4 your standard paper, you go with both.

5 MR. GREENHALGH: Right.

6 MR. FLEMMING: The document says.
7 When you look at a system with a printer I
8 foresee, I'm not arguing with you, but you say
9 you never had it, all printers have issues
10 could be a rainy day outside and the paper
11 rose or shrinks however it is out there,
12 that's my concern.

13 MS. GREENHALGH: The state of West
14 Virginia has now decided to go back to the
15 gold standard which will be the DRE. They
16 were paper, they've gone back. Now we've
17 never had where we didn't have them match but
18 they don't like the idea of yes, the printer
19 is a printer.

20 MR. FLEMMING: In New Jersey it will
21 be printer.

22 MS. GREENHALGH: They were and now
23 they've gone back.

24 MR. WOODBRIDGE: The good news is
25 we've finished walking through the criteria.

2 The bad news is we still have some more
3 business to do. In particular, there are two
4 exceptions that NJIT raised that we want to
5 address and then we have some new business.
6 Some of this, incidentally, it might benefit
7 from the experience of Sussex County so I
8 think the timing couldn't be better.
9 Exception Number 11, A person who possesses
10 the supervisor Personalized Electronic Ballot,
11 PEB, can activate a ballot in a few seconds
12 without any cross-checking with the Poll Log.
13 Using a supervisor PEB, any person can cast as
14 many ballots as he or she wants.

15 MR. PEARSON: We prepared a lengthy
16 response to you that I could go through.

17 MR. WOODBRIDGE: Give us a short
18 version of that.

19 MR. WESLEY: Our demo I think we
20 actually showed on the machine that before
21 that ballot when the poller puts it in before
22 that ballot would come on the screen he's got
23 to remove that PEB, that's functionality,
24 that's very important that we put on the
25 machine, wheeled into the machine so it forces

2 them to take possession of that PEB and I
3 think and I and Sussex county can attest
4 they've just drilled that into the importance
5 of that board keeping that PEB in their
6 possession.

7 MR. PEARSON: That was our first
8 point and PEBs are only distributed to
9 authorized elected officials, so they are not
10 to leave their possession. The second thing
11 is only PEBs programmed for the election is
12 loaded on the machine will grant access so we
13 have security measures in place to prevent
14 anybody else from putting in a PEB for
15 instance. We've talked about those and I
16 don't think we need to get into those
17 scenarios.

18 MR. WOODBRIDGE: The real scenario
19 is seen in this piece of paper pad, you go the
20 election board worker, go in the thing, you
21 push a button, pull a curtain, do your vote
22 and walk out. I guess the concern here, I
23 assume, tell me if I'm wrong that can be used
24 to activate a machine as many times as you
25 stick it in the hole.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

206

2 MR. PEARSON: That is correct.

3 MR. WOODBRIDGE: And my assumption
4 is just to be ridiculous that you can keep
5 doing this and they will keep doing this and
6 you can add 5,000 votes on the machine in
7 theory, but that might not match the number of
8 people.

9 MR. PEARSON: You have the totals in
10 your vote plus you have counters. No
11 different than paper ballots today actually it
12 is a little easier for someone I would guess a
13 poll worker that would be I guess fraudulent
14 to take a stack of ballots and mark a bunch of
15 ballots. It's probably easier to detect a
16 discrepancy in this system than it would be
17 paper ballots until after the fact.

18 MR. WOODBRIDGE: Just taking a look
19 further, I'm not sure what we described is not
20 true to almost anybody, activate almost any
21 machine of course the machine does it keep
22 voting on that machine, but you got 25,000
23 votes and five voting.

24 MR. PEARSON: We've tried to
25 implement security but check and balances and

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

207

2 a couple good procedures that Marge could
3 probably address better than anybody in this
4 room to protect against that. That is a
5 reality that can happen.

6 MR. WOODBRIDGE: Let me go into the
7 last exception here unless NJIT has any other
8 comments on this issue, yes.

9 MR. ANSARI: Actually this issue is
10 does not really go to any criteria, doesn't
11 affect the end result, but I got a response
12 from ES&S that we did not follow the correct
13 operating procedure. Let me just try to
14 respond that we did follow what's given, the
15 procedure given by Kevin and when we have this
16 problem occur to us, we sent an email to
17 Kevin. Kevin also give a couple solutions.
18 one of the solutions solved it temporarily.
19 That means we can continue to vote but for
20 another five to 75 votes depending on it's
21 quite random, we don't know what the reason
22 why and the problem come again. It just give
23 you all this warning message that we don't
24 understand.

25 MR. WOODBRIDGE: That's the next

2 exception we haven't gotten into is what we're
3 really dealing with we'll put you on the
4 record on this and maybe it's a good way to
5 sedway into that section.

6 MR. ANSARI: I thought you were
7 talking about --

8 MR. WOODBRIDGE: Section Eleven that
9 you can activate the machine as many times as
10 you want, but then you can activate almost any
11 machine as many times. The issue I am
12 interested in is the next one and I think this
13 is where it might be useful to have someone
14 speak on this. Exception 12, During the
15 volume test, after approximately 250 votes had
16 been cast, the DRE machine produced a warning
17 message when the same supervisor PEB was once
18 again inserted to activate the subsequent
19 ballots. This warning message continued for
20 subsequent votes. While this warning did not
21 preclude the voter from voting, the event log
22 showed a warning message that was not
23 understandable. I would ask the vendor
24 exactly what are we looking at.

25 MR. PEARSON: I would like to

2 address this. First of all, we have looked at
3 this condition and we've never seen it before,
4 we've never and that is true. We took it to
5 our engineering lab and our developers the
6 condition that was stated in Exception 12 has
7 never been witnessed by ES&S. So, the
8 comments that we have that were provided by
9 NJIT are not specific enough and we really
10 would like to have more information so we
11 could try to research this. It's never
12 happened in any of the testing that that
13 systems has gone through seven years of
14 qualifications they've been certified by
15 dozens probably two dozen times. They've been
16 run through thousands of tests and analysis do
17 occur and we are certainly interested in those
18 and we would like to be able to try to
19 recreate that and address it, but at this
20 point without further, more information it's
21 difficult for us to assess.

22 MR. WOODBRIDGE: Any remarks on why
23 this have occurred and what exactly did you
24 get on the screen.

25 MR. PEARSON: We need all the test

2 cases and steps that led up to this event.

3 MR. ANSARI: One question I would
4 like to ask you also. In your experience does
5 the machine go up to 250 votes. That's why
6 you never got to that experience, we
7 experienced it when we got up to that.

8 MR. GREENHALGH: Oh, yes we did. I
9 had as many as 4,000 votes and we never had,
10 we don't have any limits.

11 MS. KLUSKA: If I may interject, I
12 don't know what the description was of what
13 they saw.

14 MR. ANSARI: The error message you
15 can see this, these are the error messages on
16 the PEB which we don't understand either.
17 Well, maybe you want to take this. This is
18 probably for the vendor to improve.

19 MR. WOODBRIDGE: I think we've
20 pretty much run through this section and I
21 know that you had some responses to some of
22 the issues raised earlier. What I pose to do
23 if it's okay with you, I would like to go into
24 the public section and then maybe have you
25 wrap up after that so you want to respond to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

211

2 it. Given the fact there are some outstanding
3 things we're going to be needing from you and
4 some other time frame issues and I know we had
5 one or two people that wanted to provide
6 comments to the committee which tentatively
7 had a due date of this Friday, so we don't
8 have to necessarily get that stuff in writing
9 today, but I would like to give the public a
10 chance to speak and particularly I would like
11 to hear from Essex county, Sussex, because you
12 heard some of the things that have just come
13 up which is relevant to real life use and so
14 Marge and Abbey, if you would like to make a
15 presentation and if you perhaps want to
16 respond.

17 MS. KLUSKA: Abbey Kluska from
18 Sussex County. One thing I want to mention
19 quickly and I just looked over the shoulder to
20 see the error message that NJIT was discussing
21 and in my experience and I have an older
22 version of the firmware, we've seen a similar
23 issue. If you put the PEB in and pull it out
24 too quickly because the PEB communication with
25 the machine it's interrupting the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

212

2 communication and in my experience that's
3 typically what the message is. So it's not a
4 machine error, it's just you've got to give it
5 a couple seconds before you rip it out and
6 stick it back in.

7 MR. MAHONEY: I agree with that.

8 MS. McCABE: Thank you,
9 Mr. Woodbridge. Thank you committee.

10 MR. WOODBRIDGE: Thank you for
11 coming down, someone to come down who's
12 familiar with the equipment.

13 MS. McCABE: I guess we're the
14 first, well iVotronic. As I was stating
15 earlier, we are the first county in the
16 country who used DRE is county wide and since
17 day one they have been HAVA compliant even
18 before HAVA came out.

19 MR. WOODBRIDGE: How long has that
20 been.

21 MS. McCABE: 2001 and Abbey has been
22 on the job since that day since we did the
23 transition from paper to DREs. We do have one
24 of the printer booths as a demo in our office
25 and we've been playing with it and I have to

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

213

2 tell you the first day we had it it jammed and
3 it jammed badly. It took Abbey and one of my
4 other technicians two hours to unjam it and as
5 a result we had little shredded pieces of
6 ballot all over the floor. So that's a huge
7 concern of ours if the paper is going to be
8 ripped and you have shreds of it all over the
9 floor, how on earth do you have a recount and
10 if a candidate losses by one vote as does
11 happen in our little county, how do you know
12 what the true votes were in that instance, a
13 huge problem. I have to tell you that since
14 2001 Abbey has developed a testing and
15 validation criteria which was handed out to
16 you which we believe is beyond reproach and we
17 are willing to take that to any court. I
18 think that a big issue in New Jersey is that
19 there has been no testing and validation issue
20 set into place that standard and I think if
21 there was five years ago we wouldn't be
22 standing here today.

23 I also have an issue with the
24 handicap accessibility. Mr. Millstein
25 testified that the iVotronic is very

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

214

2 handicapped accessible. We can actually
3 because it's a computer a laptop, computer
4 sized machine we can literally take it out of
5 its plastic booth that it's housed in
6 currently, put it on the lap of a voter, give
7 them a security screen and they can vote
8 unassisted. And also in compliance with HAVA
9 people who are visually impaired can also vote
10 unassisted. We feel that the inability to
11 move, take it out of the booth because it is
12 attached would really be a detriment to our
13 voters particularly our handicapped voters and
14 the ability for someone to see how they voted
15 would be a detriment as well. We believe
16 legislation and adjudication has been
17 completed without election official input and
18 without alternative methods of voters. We
19 handed you a brochure today about and all
20 three voting companies in New Jersey has said
21 its a possibility. We believe the printer
22 setback voting effects technology ten years it
23 doesn't move it forward as it should. The
24 Sussex County freeholders have passed a
25 resolution in opposition to implementation of

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

215

2 the VVPAT as has 12 of our municipalities
3 because of the additional difficulty for
4 handicapped voters the problem with the paper
5 jams, the long lines it is sure to cause
6 incorrect recounts and lack of voter privacy.
7 We believe that VVPAT is a detriment to the
8 voting process and that the money that would
9 be spent to implement such a system statewide
10 would be better spent on improving voter
11 invalidation criteria and making our polling
12 places more handicapped accessible. And I
13 would like to quote Ted Cesar who is from the
14 MIT and who in 2004 suggested that audio was a
15 viable option to voter valid verification and
16 he IS quoted in that pamphlet. He said, we
17 need to make sure the addition of the printer
18 is an improvement before legislating them as
19 an improvement. We believe they are not an
20 improvement. And if I could end with a quote
21 from Dud Schaffer from election line dot org.
22 You can build a fence around the edge of a
23 cliff or you can put a ambulance in the
24 valley. The paper trail is an ambulance in
25 the valley, certification and testing of the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

216

2 machines is the fence around the cliff. Thank
3 you.

4 MR. WOODBRIDGE: May I ask you a
5 question while I got you here, Marge. One of
6 the subjects of discussion is the possibility
7 of moving to a way kind of looking at and
8 toward a stand ballot. Do you have any input
9 on that.

10 MS. McCABE: I believe that paper
11 ballots are the worse case scenario and if you
12 talk to Mayor Lynn from Warren County she had
13 paper ballots with scanners and she can tell
14 you all the nightmares associated went to an
15 Ivante. They had numerous problems. Any time
16 that you add paper to the mix I mean the nice
17 thing about the DRE that we have it will tell
18 you when you've undervoted or overvoted.
19 Paper you don't have that opportunity. If you
20 mark a ballot and then change your mind in a
21 race and remark it, that scanner cannot look
22 at voter intent. It will either mark it as
23 probably mark it as an overvote and the voter
24 doesn't get to make that choice at all. I can
25 tell you a story about paper ballots that I'm

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

217

2 reluctant to do, but when we switched over in
3 the paper ballots to the DREs and Abbey was
4 going through poll worker training, she had a
5 poll worker who approached her and said, I
6 really, I don't like these machines. And
7 Abbey said, don't worry they are very usable
8 once you get used to them you will love them.
9 He said, no, I won't. I really don't like
10 these machines. She said, what do you not
11 like about them. The gentleman said, I have
12 no control over the election, and when she
13 said what do you mean by that, he said, I
14 happen to know that there are some people in
15 my town that are not capable of voting and I
16 throw their ballots in the garbage. Now you
17 tell me you want humans back in the mix with
18 paper ballots, I don't think so.

19 MR. WOODBRIDGE: Thank you, Marge.
20 That ambulance does sound pretty useful. You
21 have been waiting a long time Flavio.

22 MR. KNOUVES: Just a couple of
23 housekeeping things before I go into some of
24 the comments and questions that I have. First
25 of all, as to the concern I raised during the

2 round of hearings in July 2007 which is that
3 this report and ES&S response were published
4 on a report about October third not really an
5 adequate amount of time consistent with due
6 process to allow people to fully evaluate
7 these lengthy reports. So, again it's just
8 unfortunate that the time frames are as narrow
9 as they were last time.

10 The other thing, the next thing I
11 wanted to mention also if you recall during
12 the last round of hearings again in July the
13 public advocates submitted a list of documents
14 a book of documents exhibits 1 through 67.
15 We're going to submit now some additional in
16 addition I should say in addition to relying
17 on exhibit 1 through 67 from the last round of
18 hearings, I'm going to hand up a book exhibit
19 68 through 79. It's got a few other things.
20 Mr. Woodbridge, during the last round of
21 hearings I had posed a question to NJIT and I
22 would again ask leave to pose that question to
23 them to find out if their answer has changed
24 at all. And the question that I asked last
25 time page 169 of July 25th transcript was

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

219

2 whether NJIT takes any position about whether
3 the criteria that they were given by the state
4 represents to a reasonable degree of
5 scientific certainty a valid means for testing
6 the voting machines and Mr. Darer answered no
7 we have no position that was within the scope
8 of our project in what we were engaged into.
9 I want to know if the answer is any different
10 today than what was asked.

11 MR. WOODBRIDGE: You're asking NJIT
12 to respond.

13 MR. KNOUVES: Yes.

14 MR. DARER: We have no opinion. The
15 answer remains the same.

16 MR. KNOUVES: Thank you.

17 Mr. Chairman, one of the things that I noted
18 in the NJIT report was an issue about the ITA
19 documentation that was provided to NJIT page
20 15 of the report indicates that NJIT did
21 receive ITA testing for DRE firm revision
22 9.1.6.4 and in footnote four of that report
23 they indicate that the source of that was ITA
24 submitted for the Attorney General. I guess
25 one of the questions I have is were there any

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

220

2 other ITA reports that were submitted to NJIT
3 other than the one that's mentioned in the
4 report.

5 MR. DARER: I'm not sure. There was
6 a lot of document of ES&s we concentrated on
7 the ones that gave us the information on
8 configuration version that we were required to
9 put in.

10 MR. KNOUVES: The machine you tested
11 if I recall correctly was version 9.2.00 and
12 that you didn't receive any ITA reports for
13 that version.

14 MR. DARER: You're asking if what's
15 in the table is correct?

16 MR. KNOUVES: Yes.

17 MR. DARER: What's in the table is
18 what we reflect what we saw.

19 MR. KNOUVES: You didn't see the ITA
20 report for 9.2.00.

21 MR. DARER: No.

22 MR. KNOUVES: Now, Mr. Woodbridge
23 one of the ongoing debates that's been
24 happening today I do want to weigh in on this
25 is the question of what is the ballot what has

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

221

2 to be verified and the sense that I got from
3 the testimony today and from my operation of
4 the machine is that obviously as you're voting
5 each selection you make is immediately
6 recorded to the real time audit audit log.
7 Once the voting is over and you press the cast
8 vote button, a ballot summary is printed of
9 the choices you have made or what purports to
10 be the choices you have made that immediately
11 scribbles into the machine without the
12 opportunity for voter verification of the
13 ballot summary portion. Now, one of the
14 things that I was trying to understand is in
15 NJIT's report there was a discussion of
16 matching the electronic records of the
17 machines versus the paper ballots and when the
18 paper ballots were being counted were being
19 tallied was that the ballot summary or was
20 that the RTAL that was being looked at and
21 tallied.

22 MR. DARER: Flavio, who are you
23 directing that question to.

24 MR. KNOUES: I think NJIT would
25 probably be best to answer that and the

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

222

2 question is: When you counted the ballots the
3 paper ballots was it the ballot summaries or
4 is it the RTALs that they looked at.

5 MR. DARER: I assume the ballot
6 summary or the line by line printing.
7 Correct, it was the ballot summary.

8 MR. KNOUVES: So you have no
9 information about whether the ballot summary
10 matches the line by line entries on the RTAL
11 because that's not something you looked at.

12 MR. DARER: Yes, we did. We
13 compared the line by line selections
14 deselections changes to the summary in the
15 single test not in the volume test, but the
16 single test.

17 MR. KNOUVES: The single test.

18 MR. DARER: I don't know what your
19 question is.

20 MR. KNOUVES: The single question
21 involves how many ballots.

22 MR. DARER: We did 130 votes, 130
23 ballots.

24 MR. KNOUVES: In those 130 ballots
25 you found a match between the line by line.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

223

2 MR. DARER: There were no errors.

3 MR. KNOUVES: There were errors.

4 MR. DARER: They were consistent.

5 No errors.

6 MR. KNOUVES: They were consistent.

7 Again this gets back to the debate that I
8 think we were having before notwithstanding
9 that there was a match of 130 of the different
10 ballots that were cast in NJIT's test I'm
11 trying to conceive in my mind of what is a
12 VVPAT. The thing that I think about when I
13 conceive of a VVPAT, I conceive of something
14 that the voter has verified being the same
15 thing that is used in the audit and when you
16 look at the criteria, when you look at the
17 definitions when you look at the statute of
18 what is by definition what is a voter verified
19 paper audit trail what is being audited
20 here in the ballot summaries isn't the same
21 thing the voter verified. The voter did not
22 verify the summary that's what's being used
23 for the summary. The voter verified the RTAL
24 logs and that isn't necessarily being used as
25 part of the audit. So, I'm not even sure the

2 system before you today is a VVPAT by
3 definition of what that is and the way this is
4 used.

5 So, another question that I had also
6 I'll allow whoever wants to answer this. We
7 talked a little bit about multi link and
8 functionality before, obviously in Sussex
9 County at least as far as section 203 of the
10 voting rights act there is no requirement for
11 multi link functionality how exactly would
12 multi link functionality work on these
13 machines.

14 MR. WOODBRIDGE: I think the vendors
15 could answer that. How do you handle the
16 multi functionality.

17 MR. PEARSON: The way the system
18 works is it could support multiple languages
19 and the system is coded so the initial screens
20 that come up are bilingual to support
21 whichever languages are required. At that
22 point in the audio there's audio files that
23 are all communicated to say for instance it
24 might be english, spanish and creole for
25 instance it would give that initial those

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

225

2 initial instructions would all be given in all
3 three languages and then the voter would have
4 the opportunity to select which language they
5 want to see the race as presented as well as
6 which audio files they would hear at the
7 voting session.

8 MR. KNOUVES: Just so I understand
9 there would be an option presented at the
10 voting session when you would choose what
11 language you wanted and the ballot would then
12 appear in that language. Now, on the printer,
13 would it, would the title of the office be the
14 same as the screen language.

15 MR. PEARSON: I'm going to go ask
16 Will if he knows the answer to that question.

17 MR. KNOUVES: The printer they
18 select an alternative language raises in the
19 alternative language or is that preprinted.

20 MR. WESLEY: Those are printed in
21 other languages. I have not had any
22 experience using it anything other than
23 english so I can't answer that.

24 MR. PEARSON: I don't know the
25 answer. We would have to get the answer for

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

226

2 you. We don't have any requirement for
3 multiple language.

4 MR. WOODBRIDGE: I see we did go
5 through that in one of the sessions. I think
6 it was section C. It says any language, so it
7 shall produce in all such languages. I guess
8 based on assumption you're going to have a
9 ballot in creole, I assume you probably want
10 creole to identify the office so the
11 information on the paper record not needed by
12 the voter's personal verification shall be in
13 english which I think suggests that if you
14 need another language conveyed it's got to be
15 in that language.

16 MR. KNOUVES: No doubt. I have no
17 doubt about that at all. The question in my
18 mind is whether the printed ballots that are
19 produced end up producing the titles of the
20 office and that other information in both
21 english and such other language or in that
22 other language alone and the reason for this
23 is a question of privacy because if you have a
24 voter who chooses that alternate language that
25 also identifies their ballot in that case.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

227

2 MR. WOODBRIDGE: You raised that
3 last time.

4 MR. KNOUVES: I did. So that's just
5 what I wanted to ask.

6 MR. PEARSON: Let us look into it
7 for you just point of clarification not only
8 the audio ballot but the visual ballot is
9 presented in the language that the voter
10 chooses. That's not critical for some of the
11 offices although the offices are pronouncing
12 quite a few issues that have to be alternate
13 it's not the audio, but the visual ballot the
14 voter selection in their language but we have
15 to check what the are the actual print out.

16 MR. KNOUVES: Very briefly. Now
17 I'll give you sort of a shortened comment. I
18 made a comment last time although I certainly
19 rely on what I said last time which is that
20 the question before this committee again is
21 whether the ES&S has shown that the electronic
22 meets the criteria of NJSA 19:41(a) is it
23 reliable, is it accurate, has it been
24 thoroughly tested and is the VVPAT and I
25 touched on this a little bit before. I just

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

228

2 have some doubt in my mind knowing that what
3 the voter verifies isn't necessarily what's
4 being audited. I don't know that this is a
5 VVPAT. But let me talk a little bit about
6 some of those other criteria. First, the
7 question of thorough testing in the exhibit
8 book that I've handed up before, there's three
9 expert reports that we've submitted to the
10 Attorney General not to this committee because
11 of this committee's deadlines but submitted to
12 the Attorney General for review of the other
13 three machines it's from professor Wayne from
14 Princeton Mr. Hallerman, Mr. Crew and
15 Mr. Schavaslovic. These reports are all
16 therein and these reports explain why the
17 amount of testing that's been done on these
18 machines did not include an examination of
19 source code, did not include a sufficient
20 number of test ballots to determine whether
21 these printers are going to jam in the setting
22 to determine whether the software code is
23 robust enough and those three reports that are
24 in that exhibit book we submitted explain
25 these concepts, so I urge you to take a look

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

229

2 at them. That goes to the question of are
3 these machines thoroughly tested and again we
4 would suggest the answer to that is no. The
5 question on whether the machines are private
6 we explained this last time, we stand by the
7 position we took then which is basically that
8 any continuous spool system when used in
9 combination of the New Jersey practices of
10 voting authorities steps and the presence of
11 challenges is inherently compromising the
12 privacy. It's highlight again why that is.
13 You go into the polls in New Jersey, sign in
14 in the log, you sign in a voting authority
15 slip voting authority slip is then put on a
16 string that exists for each of the machines
17 the voters may go to. So there are records
18 permanent paper records in the order which
19 people voted under state law even if there
20 weren't state records there's challengers,
21 nothing in the law that prohibits them from
22 recording the order in which other people
23 voted and when you combine that with a
24 continuous spool system that will compromise
25 their privacy I'm really gratified to hear

2 that the eight time stamps are coming off
3 because that to me was just that was another
4 example of an issue of privacy.

5 As far as what was discussed before
6 about the screens I think that the idea of
7 turning the machine around to face the wall as
8 a matter of local practice makes a lot of
9 sense and is going to solve a lot of the
10 privacy problems. The privacy problems exist
11 because the continuous spool and I don't mean
12 to deny those exists, but as far as the
13 ability to peer over for someone to catch a
14 glance of what's going on.

15 One other thing I urge you to
16 consider is whether certification machines
17 should be contingent on local practices that
18 turn the machine around to face the wall. I
19 think you have to look at everything including
20 how the panels are set up and that's something
21 that makes a lot of sense. We talked a little
22 bit about the reliability of the machines and
23 really reliability and accuracy are kind of go
24 hand and glove here. There was evidence based
25 on NJIT's test we didn't cast a lot of ballots

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

231

2 they cast 298 ballots, 302 ballots in the 14
3 hour test and there were three paper jams. It
4 resulted in the lack of complete printing of
5 four ballots that's one in 100 is the jam rate
6 for this printer. You think about how many
7 jams would result in the real world election.
8 Miss McCabe testified about a jam that
9 occurred and taking two hours to solve this.
10 The question is, are these printers reliable
11 in the sense that the statute of 1948 dash one
12 requires that these machines be reliable. Are
13 these reliable when you have ballots one in
14 100 failing in a 14 hour test. Even when you
15 go the 1200 vote test, I think there was
16 testimony there were two jams there was page
17 19 of the report paper jam resulted in lack of
18 printing of barcode for three paper jams, so
19 it was incomplete but there was another jam
20 and it's I understand and I accept the jams
21 will happen in the real world but one in 100
22 or at one in 600 based on the 1200 volume
23 test. That's just an awfully high I think for
24 anyone to comfortably say that these machines
25 are reliable and this gets into accuracy

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

232

2 because the result of these jams was that
3 there was a discrepancy between the paper
4 ballots and the electronic records. It is
5 true the barcodes match the paper and the
6 tally matched the electronic ballot images,
7 but as between the paper side and the
8 electronic side there was a discrepancy and in
9 this election in this mock election I don't
10 think there was enough discrepancies to change
11 the outcome of the election, but what happens
12 when it is one vote, what happens when it is
13 two votes and there are four ballots lost or
14 three ballots lost as happened in the lab this
15 isn't real world, this is in a lab. So, one
16 of the things we've always asked this
17 committee to look at is that thorough testing
18 of voting machines and the setting of rigorous
19 standards is what can make the difference
20 between a fair election and unfair one and
21 when you look at the criteria that the state
22 has promulgated and I am talking about both
23 the statute and the non regulatory criteria
24 guidelines, the document promulgated last
25 April I'm not sure what to call them, but the

2 criteria the guidelines they've been referred
3 to in a lot of different ways. So, I think
4 criteria is a good way to look at it whether
5 they satisfy both of these things I don't
6 think that right now we've got enough before
7 us to say that this is a VVPAT. I don't think
8 when have enough to say this is reliable. I
9 have serious questions about reliability and
10 accuracy and privacy. I don't know if that's
11 been made on the record that exists today. I
12 just want to confer with my co-counsel.

13 That's all I have. Thank you for
14 your time.

15 MR. WOODBRIDGE: I'm going to at the
16 risk you heard Ms. McCabe talk, do you have
17 any comments on her experience with the DRE
18 and the paper trails and stuff like that.

19 MR. KNOUVES: We believe that the
20 addition of paper trails, the addition of
21 verification makes sense because number one it
22 provides an additional level of actual
23 security, it gives voters justifiable
24 confidence not just hypothetical confidence
25 but justifiable confidence in the results.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

234

2 But, because the printers are vulnerable to
3 failures, vulnerable to jams are vulnerable to
4 inexperience the people trying to load paper
5 in the printers it's something that's got to
6 be rigorously tested and it's got to have
7 failure rates that are very low and it's got
8 to be user friendly. I would say we've seen a
9 lot of the four hearing I've attended we've
10 seen a whole spectrum I think of usability in
11 terms of refilling paper ranking from one
12 machine that in essence the pollers shouldn't
13 even try to do with another one you stick a
14 ream of paper in there and this particular
15 machine I would say is somewhere in the middle
16 but what concerns me is seeing that these
17 dislevel of paper jams resulting in the loss
18 of real balance the official ballot of record
19 so I think it makes sense to have paper to
20 have paper printers. I part a little bit with
21 Miss McCabe on that point but they've got to
22 be rigorously tested printers that are going
23 to work in the lab and real world conditions.
24 I just on the record that's been presented
25 with the number of failures here I'm not

2 seeing it.

3 MR. WOODBRIDGE: Thank you very
4 much. Alexander, you have any comments. Any
5 other member of the public have any other
6 comments to add while we're here today.

7 MS. KLUSKA: Could I jump up. Abbey
8 Kluska. One of the things I'd like to preface
9 before we continue, I know there have been
10 some concerns about the reel-to-reel and one
11 of the things I think have been brought up
12 repeatedly is that the machines can do a lot
13 of things, but the election officials have to
14 do a lot of other things and one of the things
15 we've talked about is if the reel-to-reel were
16 to come into affect we intend to cut the
17 individual records apart so that the issues
18 that the public advocate did bring up about
19 being able to link the record to an individual
20 would be a moot point and our plan for that
21 would be very similar to the same procedures
22 that we currently use for our paper records
23 when you take the identifying information off
24 the outer envelope, we would do the same
25 steps. We would have one team of people that

2 would cut the records apart and then the
3 commissioners would count those records in the
4 case of a recount, so that would be our plan
5 in those procedures. I hope that addresses
6 some concerns at least on privacy about
7 identifying voters on the paper trail.

8 MR. WOODBRIDGE: All right.

9 MS. KLUSKA: I'm not going to rehash
10 what Marge has already said. I believe she
11 put it a little more eloquently than I can,
12 but what I would like to say Sussex County has
13 in some way set the standard. We were the
14 first people in the country to use the ES&S
15 iVotronic county wide and in that way we set
16 some standards that we thought would be a
17 bench mark and in many cases we over the years
18 improved upon them. Those standards are set
19 through the paper that I've already handed
20 out. Some of the different testing procedures
21 that we do although we try our best to make
22 sure they are public knowledge, a lot of
23 people in the general public aren't familiar
24 with them and of course we do open our offices
25 at all times, but especially at the public

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

237

2 test before each election. Every single
3 person that has come up to me and actually
4 witnessed demonstration of the voter verified
5 paper trail has often said that they had
6 concerns about the security of electronic
7 machine. When they understood what our
8 testing practices are currently, they've all
9 walked away saying that they feel confident in
10 our electronic system, confident in our
11 speaking standards but not confident in the
12 addition of the voter verified paper trail as
13 been seen and I don't mean in any way to
14 criticize ES&S paper trail in the limited
15 understanding that I've seen it's very
16 adequate, but what my criticisms are a paper
17 trail being enacted in the standard of the
18 Attorney General's office has put forth to
19 your group as well as the rest of the state.

20 MR. WOODBRIDGE: Is there any other
21 comments thank you very much. Thank you very
22 much. Before we wrap up ES&S, do you have any
23 further comments? You also indicated you
24 might have some clarification you want to put
25 it in writing or you want to respond to some

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

238

2 of the open questions.

3 MR. PEARSON: I think quickly we
4 would like, there's about three open items we
5 would like to verify. First of all, quickly
6 on the ITA reports there are no reports 409.2
7 released yet and they won't be available until
8 the testing is completed, so we provided them
9 the last set of reports which was the 3011
10 version which included the 901 of the DRE with
11 the RTAL printer that was the last set of
12 reports that was tested under May 15th in 2006
13 so as soon as the new reports are available
14 you will receive those. That's to clarify
15 that issue. The other question regarding
16 reliability and accuracy questions, the system
17 as a system has passed and exceeded all of the
18 2002 voting system standards that were
19 established by the federal election
20 commission. So, for all the reliability tests
21 which is an accelerated test for the system
22 operating as a system where they are conducted
23 in a continuous modemode with Virginia but I
24 think anybody wants to go check and see what
25 that testing system you will see the system

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

239

2 passed that criteria and it will be in the
3 final report.

4 Regarding the accuracy tested it
5 also passed all the data accuracy test as
6 defined by the 2002 VFSs and completed the 1.5
7 million mark accuracy test so as far as
8 accuracy and reliability we passed the test
9 for the standard.

10 MR. WOODBRIDGE: Are you talking
11 about the paper ballot.

12 MR. PEARSON: The whole system.
13 They are tested as system by the ITA and now
14 you'll have those reports shortly, so and then
15 the last topic we wanted to just clarify was
16 just the confusion and I apologize for not
17 having all the answers regarding the paper.
18 The red strike on the paper and I still don't
19 have the definitive answer neither will arise
20 how much red is on the paper, but the folks at
21 the office said there are a lot like 20 or
22 30 feet. Somewhere in that neighborhood. So
23 there's a significant amount of warning before
24 you hit the red line which is the individual
25 indicator related to the print ear the

2 iVotronic when it hits a low paper, a low
3 paper level condition there's two scenarios
4 and I'm going to let Will address them. The
5 first is a low paper level is reached during
6 the voting session and then it will talk about
7 low paper conditions reached prior to voting
8 session, so Will why don't you the first one
9 would be if you're in the middle of the voting
10 session and the printer detects a low paper
11 condition.

12 MR. WESLEY: If it detects that
13 condition which is about a quarter inch of
14 paper left on that roll which we're estimating
15 to be somewhere about 20 to 30 feet of paper
16 left on the roll, that's quite a bit and it
17 happens it trips that threshold while the
18 voter is voting it will allow that voter to
19 continue voter until the end. The next time a
20 poll worker goes there to activate a ballot,
21 that threshold being tripped would then put an
22 error message on the screen indicating to the
23 poll worker that that roll needs to be
24 changed. And the next voting session would
25 not be allowed.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

241

2 MR. WOODBRIDGE: So what you're
3 saying something contradictory what NJIT has
4 told us. Once you do get that vote set you
5 produce an audible signal when that happens or
6 does it just simply let that voter continue
7 and then when you put the PEB in it you can't
8 vote on it; is that right.

9 MR. WESLEY: That's correct no
10 audibles are signaled. It's visual on a
11 screen.

12 MR. PEARSON: It is a visual
13 warning.

14 MR. WOODBRIDGE: The voter is voting
15 and reached that level in the machine does the
16 voter voting that knows that.

17 MR. WESLEY: No.

18 MR. WOODBRIDGE: The voter continues
19 voting the next voter can't vote.

20 MR. PEARSON: If that voter were to
21 stay there and run all 20 or 30 feet of paper
22 out when it runs out of paper it will then
23 throw the warning up for that person and they
24 would not be able to complete their voting
25 session.

2 MR. WOODBRIDGE: Time session I
3 think they have said there is a warning that
4 would prevent somebody from voting is that
5 right?

6 MR. ANSARI: There is a warning
7 signal that the paper is low but does not
8 allowed the voter to continue finishing to
9 vote that's the issue.

10 MR. WOODBRIDGE: That's the
11 disconnect what I understand that there is,
12 there is some sort of signal that goes onto
13 the machine let them continue to vote, but the
14 next voter can't vote; is that correct?

15 MR. PEARSON: The next voter can't
16 vote.

17 MR. WOODBRIDGE: I'm getting a
18 little bit of confused at this point.

19 MR. PEARSON: I agree there is
20 confusion on that.

21 MR. WOODBRIDGE: Something you
22 people have to work out. So when the voter is
23 finished, and it gives them an error message
24 saying it is low and it will not let them
25 vote.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

243

2 MR. PEARSON: That's my
3 understanding.

4 MR. WOODBRIDGE: The record shows
5 two different ends here. West, one more thing
6 I wanted to clarify. I think Steve talked
7 about the rooster tail lab. I asked him how
8 long did the rooster tail go.

9 MR. WESLEY: I'm not sure.

10 THE COURT: It's the red thing when
11 you see it.

12 MR. WESLEY: It is a visual queue.

13 MR. FLEMMING: I did have one
14 question. You said you had the version 92
15 that's in testing right now and when that
16 comes out we're going to get the reports. Is
17 that machine going to go to NJIT when it gets
18 done.

19 MR. PEARSON: That has not been
20 determined. In the discussions I've had with
21 the Attorney General's Office they understood
22 we were so close to certification with the
23 significant enhancements they did not want to
24 evaluate the old system because we were
25 planning to bring the new system in for

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

244

2 certification in December, so she said there
3 might be some retesting that might be
4 required. That hasn't been determined at this
5 point.

6 MR. FLEMMING: What we have here.

7 MR. PEARSON: The latest.

8 MR. FLEMMING: What's demonstrated
9 is the 92.

10 MR. PEARSON: It is the 92.

11 MR. FLEMMING: That's not what the
12 NJIT.

13 MR. PEARSON: That was what was
14 NJIT. They tested the 92.

15 MR. WOODBRIDGE: Any other comments.

16 MR. PEARSON: No.

17 MR. WESLEY: I would like to clarify
18 this while he is here. I stepped out to talk
19 to our developers again about the error
20 message we saw, they did confirm that what
21 NJIT said is correct it simply means that the
22 right operation between the PEB the
23 communication between the PEB was interrupted
24 prematurely and that's a pretty elaborate
25 message but that's exactly what it means.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

245

2 MR. WOODBRIDGE: It means you pulled
3 it out too fast.

4 MR. ANSARI: Can I respond to that.
5 Kevin did send us the email about that and we
6 did make sure very slowly not to pull out so
7 quick. Kevin sent a solution but it doesn't
8 solve the problem. I'm not, we are not going
9 to haggle what's wrong. The problem is for
10 you to solve it. I just told you this is
11 something happening.

12 MR. PEARSON: We can speculate until
13 we can try to recreate all the facts that's
14 all that is.

15 MR. KNOUVES: I'm sorry I just
16 wanted to get a clarification on what's before
17 the ITA. What is before the ITA versus what
18 is before what was before NJIT.

19 MR. PEARSON: The system is in test
20 with the VSTL.

21 MR. KNOUVES: Very good.

22 MR. PEARSON: It was what was
23 submitted it was off was when they completed
24 the bills so the system that had the
25 functional testing would have some minor

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

246

2 perhaps some minor changes to it from what was
3 delivered it may be during functional testing
4 it may be covered we would have made that to
5 start the testing over again so it could be
6 slightly revised.

7 MR. KNOUVES: One of the revisions
8 you're taking off.

9 MR. PEARSON: That is one of the
10 things that we learned in this we said let's
11 take it out because other states asked that we
12 have it in we said let's just take it out.
13 Yes, that is one of the changes.

14 MR. WOODBRIDGE: Any other comments
15 from the committee, no. NJIT, I would like to
16 thank you gentlemen. As usual, you've been
17 great and very, very helpful. I appreciate
18 what you've done for us. And I appreciate the
19 audience and especially those from Sussex
20 County. I assume the vendors are not going to
21 Paris after this. And as usual, Donna and
22 Karen and everybody else, thank you for
23 setting this up and Kim thank you for keeping
24 the record in back of us. Sound person, thank
25 you very much. Again we'll be doing a report.

PUBLIC HEARING - IN RE: CRITERIA FOR VOTER-VERIFIED
PAPER RECORD FOR DIRECT RECORDING MACHINES

247

2 We'll be waiting for you to provide the
3 additional documentation and anything else you
4 want. Anybody else has comments, please get
5 them to the Attorney General's Office. I
6 can't tell you when the report's going to come
7 out because we've got to do a draft and
8 circulate it. Thank you very much. I
9 appreciate you coming here and have a safe
10 trip back.

11 (Whereupon the Hearing was
12 concluded.)


13 (Time noted 4:51 p.m.)

14
15
16
17
18
19
20
21
22
23
24
25

2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T I O N

I, KIMBERLY HORSLEY, a Certified Shorthand Reporter and Notary Public in and for the State of New Jersey, do hereby certify that the foregoing transcript of the hearing, taken on Wednesday, October 10, 2007 is true and accurate to the best of my knowledge, skill and ability.



Kimberly Horsley, CSR

(The foregoing certification of this transcript does not apply to any reproduction of the same by any means, unless under the direct control and/or supervision of the certifying reporter.)